
INTERVIEW OF:

STEVEN DAVID

TAKEN NOVEMBER 19, 1997 AT 1:00 P.M.

MILO BALLINGRUD
EAGLE REPORTING SERVICES
2104 Glenhurst Road
Minneapolis, Minnesota 55416
(612) 920-3109

INTERVIEW OF STEVEN DAVID, taken pursuant to agreement of and between parties at, Koch Industries, Inc., P.O. Box 64596, St. Paul, Minnesota, at approximately 1:00 p.m. on Wednesday, November 19, 1997 before Milo Ballingrud, Notary Public, County of Hennepin, State of Minnesota.

APPEARANCES:

Present from the Minnesota Pollution Control Agency:

DON L. KRIENS, P.E.

MARY L. HAYES

GREGORY BERGER

Present from Koch Industries:

JAMES K. VOYLES, Attorney at Law

Present from the law firm Green Espel:

LARRY ESPEL, Attorney at Law

SUSAN K. WIENS, Attorney at Law

I N D E X

EXAMINATIONS:

BY MR. KRIENS: page 8, 17, 31, 47, 59

BY MS. HAYES: page 4, 11, 22, 36

BY MR. BERGER: page 41, 56

KOCH JOB HISTORY: page 5

MANHOLE OVERFLOWS: page 7, 57

DISPOSAL OF CONTAMINANTS IN SEWER: page 41

FACILITY SEWER CONDITION: page 55

MAINTENANCE LINE OF COMMAND: page 65

HYDRANT FLUSHING: page 72

FIVE GALLON SPILL REPORTABILITY: page 118

FUTURE OF ENVIRONMENT DEPARTMENT: page 119

1 BY MR. BERGER:

2 Q. First a little intro part we've been saying to
3 all the staff that we're interviewing. Steve,
4 as you know, the Minnesota Pollution Control
5 Agency is conducting a civil investigation that
6 is focusing in on Koch Refinery operations and
7 on a number of pollution, environmental related
8 issues that came to our attention in April of
9 this year. We are seeking your cooperation in
10 obtaining information related to those issues.

11 At this time we want to ask you some
12 questions, and we want you to know this is
13 totally voluntary on your part, you are not
14 obligated to answer these questions if you do
15 not want to. This information may be used in
16 administrative, civil or criminal enforcement
17 action against Koch Refining Company. This
18 investigation, I want to emphasize, is not
19 looking at any individual person here at Koch
20 Refining, this is a look at the overall Koch
21 Refining operation. Any questions about that?

22 A. Not at this time.

23 BY MS. HAYES:

24 Q. Steve, will you state for us your -- give us an
25 idea of what your position entails, what the

1 responsibilities are, who you manage and, you
2 know, how long you've been here. I don't think
3 your position has changed since you started
4 here, has it?

5 A. Well, I've been associated with Koch Refining
6 Company or Koch Industries for a period of about
7 16 years.

8 Q. Oh, okay. Go ahead then.

9 A. I worked through the process engineering
10 department, spent some time in our corporate
11 headquarters doing various activities, then came
12 back here again in process engineering to manage
13 some special projects. I became affiliated with
14 the environmental engineering department in '91
15 and then became manager for the department in
16 '92. During that time -- maybe you can restate
17 your question so I don't miss anything.

18 Q. No, that's fine.

19 MR. KRIENS: When did you come back
20 to the refinery here?

21 THE WITNESS: It was sometime at the
22 end of '89. I don't know the official transfer
23 date, but essentially we moved into our house in
24 the December of '89.

25 BY MS. HAYES:

- 1 Q. And what was your capacity again?
- 2 A. I was doing special projects for process
3 engineering folks at that time.
- 4 Q. And then you got into --
- 5 A. Then May of '91, this is recollection, May of
6 '91 I became assistant manager to the
7 environmental engineering department. Then in
8 May of '92 I was named manager for the
9 department.
- 10 Q. And will you tell us what your responsibilities
11 are in that capacity?
- 12 A. Responsibilities are to evaluate the --
13 understand the regulatory requirements for the
14 plant and develop positions that would make us
15 meet compliance and stay in compliance, hire
16 folks that obviously help do that, select,
17 develop, coach those people to be able to follow
18 along those same lines to make sure that we
19 remain in compliance with the requirements as
20 stated.
- 21 Q. Okay. Who are the people that you manage?
- 22 A. The environmental engineering department, our --
23 I guess from that standpoint, my staff.
- 24 Q. Okay, thank you. I'm going to start, and I
25 would like to talk to you about the issue of the

1 manholes where the overflow happens from the
2 oily water to the non-oily water sewer near tank
3 500. That's been the primary area from what I
4 understand. I think that there was an
5 investigation sort of throughout the plant on
6 other areas, and I'm not sure if we've gotten
7 the conclusive results of that, something we
8 talked about in a meeting late in the summer I
9 believe.

10 Don, do you know whether we ever got
11 those surveys or the results of those surveys on
12 the other areas where there's overflows?

13 MR. KRIENS: No.

14 BY MS. HAYES:

15 Q. I didn't think that we had, but anyway, that's
16 something that I think is in the works and I
17 think Karen is in charge of that.

18 My question to you is how long have you
19 been aware of the problem of the manhole
20 overflows?

21 A. How long have I been --

22 Q. Aware of that the problem.

23 A. I became immediately aware during the
24 investigation at that time. I understood that
25 we are overflowing that particular manhole.

1 That was not something I knew or had direct
2 contact that it was that specific overflow that
3 occurred. I had back -- I don't recall the
4 date, but there was some discussion regarding if
5 that hole were to overflow, it was not
6 associated with any particular event, but if we
7 overflowed that manhole, would that be
8 considered a waste or is that just water.

9 Q. You're saying prior to our inspection in April?

10 A. Prior to your inspection.

11 Q. You were involved in a meeting, is that what
12 you're saying, Steve?

13 A. I don't recall if it was meeting or what. It
14 was a discussion of some sort.

15 BY MR. KRIENS:

16 Q. You mean whether it would be considered a
17 hazardous waste or --

18 A. Would it be a hazardous waste or was it just a
19 water overflow, because of the content, was it
20 just essentially storm water.

21 Q. Well, the overflow was processed waste water
22 though, not storm water, you're talking about.

23 MS. HAYES: Yeah, it goes from the
24 oily to the non-oily.

25 THE WITNESS: Restate your question.

1 BY MR. KRIENS:

2 Q. The overflow or the source of the sewer that
3 overflows is composed of oily waste water,
4 processed waste waters from different areas.

5 A. As it comes up from the coker ponds it was not
6 my understanding it entered into an oily water
7 sewer and then came out. As we discussed it --
8 what I'm recalling again, my recollection, as we
9 discussed it, it was -- the determination was
10 the coker pond water, which was essentially
11 water and coke fines, that that constituted
12 waste. We tried to understand that. We did not
13 look into whether it was an oily water sewer
14 issue or not.

15 Q. Did it constitute a hazardous waste you mean?

16 A. Right.

17 Q. Versus a normal waste or waste water?

18 A. Just a water overflow that would potentially
19 cause contamination.

20 Q. Well, waste water overflow actually, right.

21 A. Well, that I guess we'll have to discuss.

22 Q. Let's nail it down, because that sewer is an
23 oily water sewer where processed waste water and
24 oily waste water goes in there, not just storm
25 water.

1 MR. ESPEL: Well, just to make sure
2 that we're talking about the same thing at the
3 same time, I think there was a question that was
4 put about when did he become aware of overflows,
5 I think he talked about that, then there was the
6 question that he mentioned. I recall some
7 discussion before that. Now I think you are
8 kind of asking about what the situation really
9 is, which doesn't necessarily define what he was
10 talking about before or what he saw in April. I
11 think we have to sort out which time frame we're
12 asking about at which time so we don't confuse
13 if we're talking about what he knew at one point
14 or what the situation is. That isn't
15 necessarily the same thing. It might be, but I
16 just want us to be clear on what you're asking.

17 MS. HAYES: Thank you for trying to
18 clarify that. I think --

19 MR. ESPEL: You can ask all three
20 questions, I'm not trying to prevent you from
21 that, I just want to know which question you're
22 asking at which time, that's all.

23 BY MR. KRIENS:

24 Q. Do you want to go back to your question? I'm
25 sort of lost on that. I guess what we're

1 asking, we were specific to that tank 500
2 overflow area, the oily water sewer to the clean
3 water sewer. The sewer, and that's what I was
4 specifically pointing out, that the oily water
5 sewer was an oily water sewer and not storm
6 water that overflowed. Is that your
7 interpretation as well?

8 A. It's factual to say that manhole cover by tank
9 500 is an oily water sewer. There's also a
10 clean water sewer next to it.

11 BY MS. HAYES:

12 Q. Here's a picture of it actually. This would be
13 the oily, this is where it comes up and this is
14 where it goes into the clean water (indicating).
15 And this is from the documents that you
16 furnished to us. The number is 3073. I think
17 Joe Butzer drew that diagram. So that's what
18 we're talking about, we're talking about -- and
19 also, when I first started asking the question I
20 was asking you -- I was making general comments
21 about the problems throughout the plant, so I
22 think that's where we got apart. Now we're
23 talking specifically about tank 500 and that
24 problem.

25 And so now I want to go back to asking

1 you, you said that you recall a discussion about
2 overflows and if that would happen what would
3 that constitute in terms of waste, isn't that
4 what you said, Steve?

5 A. Correct.

6 Q. Okay. And so was that specific to tank 500 or
7 not?

8 A. No, not at that time. When I became aware of
9 this situation occurred right near the time of
10 the inspection or within a week when we talked
11 to the operators that were bringing those issues
12 up. I think that was after they had brought
13 those up with you. They brought those questions
14 to us after they had brought them up with the
15 MPCA staff.

16 Q. You mean before our inspection or after?

17 A. Yes.

18 MR. KRIENS: Brought what up? The
19 fact that these overflows were occurring?

20 THE WITNESS: Well, that was one of
21 their concerns, yes.

22 MS. HAYES: Was that before or after
23 our inspection?

24 THE WITNESS: I think that was just
25 prior, literally days prior to.

1 BY MR. KRIENS:

2 Q. I'm not following you. Are you saying that Koch
3 staff brought this issue up to us?

4 A. I'm only talking about me.

5 Q. I didn't follow that.

6 A. My understanding of this particular area here
7 was not specific at all. I had no specific
8 knowledge of that until two of the operators
9 down at the waste water treatment plant, who I
10 understood also went to the Minnesota Pollution
11 Control Agency with these concerns, when they
12 called us and say gee, we went to the agency, I
13 went down and tried to talk to them and tried to
14 understand what their issues are. That was one
15 of their concerns.

16 Q. I see.

17 A. So it was literally a day or two before.

18 Q. So you're talking about the complainant which
19 called us about -- this is one of the issues
20 they brought up. All right.

21 BY MS. HAYES:

22 Q. And then when that was brought to your attention
23 was it made clear to you that it was going to
24 the clean water sewer?

25 A. I did not get an opportunity to go out and look

1 at that area specifically, so I did not know the
2 logistics of that, no.

3 Q. I guess given the capacity that you are in as
4 the environmental manager, the question that I
5 have is, you know, the logs that you furnished
6 to us, they go back to -- these are the waste
7 water logs I'm talking about. They go back to
8 the beginning of '94. It's my understanding, in
9 fact, that's as far back as they go. I think
10 that's correct, isn't it?

11 A. That I don't know.

12 Q. Okay. Anyway though, there's documentation
13 beginning in '94, right at the beginning of '94,
14 that this was a problem way back in January of
15 '94. And we have documentation on these logs of
16 about -- I'm just estimating, but I think it's
17 right around 50 events of this type where
18 there's an overflow. It's stated in the log.
19 For example on 1/13/94 the operator states the
20 problem with water coming out of the ground and
21 running into the NOWS at the coker is not
22 solved, it's doing it again. This goes back to
23 the beginning of '94. I guess the question we
24 have is how is it that you weren't aware of
25 this? I mean, I believe that you weren't aware

1 of it, but I'm just wondering how is it you have
2 waste water -- you have a waste water area that
3 even if you're not managing it, you know, you're
4 somewhat responsible for what's going on out
5 there in terms of environmental laws and the
6 permit and all of that. How is it there was a
7 breakdown that you wouldn't have been made aware
8 of them? That's just baffling to us.

9 A. I think it would be pure speculation on my part
10 as to when I was and I wasn't. That is not part
11 of my role to read those particular logs.
12 That's really the reason why I wasn't. We do
13 have systems in place to try to evaluate our
14 performance in all areas, and that goes from
15 air, water and waste, to try to understand those
16 things. We do evaluate those.

17 Looking at the MPDS system itself, we do
18 audits of our laboratory. You guys get all that
19 information. We do inspections, hazardous waste
20 inspections once a week literally walking around
21 checking things plus the quarterly stuff that we
22 do with the agency. We also do checks on our
23 air, we have a lot of those. We don't scour
24 every little piece of paper. We also have,
25 hopefully, selected the right people to run and

1 operate our units. And we have systems in place
2 so that if concerns come up, whether they're
3 operationally, whether they're safety or whether
4 they're environmentally, that there is a path or
5 an appeal process of which to take those items
6 that might be of concern. If you've got a
7 question operationally that you think is going
8 to be environmentally or safety related you can
9 begin asking questions up the ladder. If it
10 hits my desk it will be acted upon. If I don't
11 answer it to somebody's satisfaction, it
12 literally ends with a gentleman in Wichita by
13 the name of Ben Burgess, who is our corporate
14 compliance officer. He will get to the bottom
15 of it, and he will even investigate on a
16 confidential basis if people don't want their
17 names to be involved. He has a 1-800 number,
18 and that's completely confidential.

19 My question is why, I'm somewhat baffled
20 like you, why did the operators not bring this
21 to our attention? I am not aware of that.

22 Q. Can you explain how that pathway would work from
23 operator to you, if it would have ever gotten
24 from operator to you?

25 A. If the operator were to have a concern he

1 could -- there would be a couple of different
2 pathways. They could go to their supervisor or
3 they could go to an environmental engineer that
4 would be assigned in that area and generally ask
5 questions. If they don't get a response or they
6 don't understand it or whatever, they can appeal
7 up again from the environmental engineer to
8 their direct supervisor or me, if that's who it
9 is. If I don't give them an answer we also have
10 other folks that would be available. There's
11 several different paths, again, all ending with
12 our corporate compliance officer, 1-800 -- I
13 don't know the number, but I could say 1-800
14 call Ben. It's posted and it's available.

15 BY MR. KRIENS:

16 Q. You understand our issue and primary concern
17 with this problem is that it occurred very often
18 over a long period of time, and it wasn't just
19 the operators, the waste water operators, that
20 were aware of it, other people at the refinery
21 were aware of it. We'll show you the memo
22 (indicating), the January 13th one. The issue
23 of greatest concern from an environmental
24 perspective is that this water basically was
25 discharged untreated to the river because when

1 it overflows from the oily to the clean water
2 sewer that goes to B5 circumventing the active
3 biological or chemical treatment that is
4 provided through the waste water treatment
5 plant, goes to the polishing pond, so any
6 pollutants in there are untreated. There are
7 some pollutants that are monitored, although
8 that's a very limited number in the permit. It
9 doesn't include benzene and other constituents
10 that could have been in there, and probably were
11 in there. So basically it's going out to the
12 river untreated, and that's really our primary
13 issue with this activity.

14 A. I know you and I have -- obviously we try and
15 understand, in fact I've asked you that
16 question, what constitutes treatment, and I know
17 that's one of the things that we'll have to
18 figure out, does treatment only occur in one
19 spot, where does it occur in the plant, that is
20 something we have to come to a conclusion on in
21 the future, what does that really mean from our
22 standpoint.

23 Q. We came to a conclusion from our perspective
24 that to treat benzene, to treat pH compounds, to
25 treat oil and grease compounds, related

1 compounds, pollutants of that nature, that going
2 into a holding pond certainly doesn't constitute
3 treatment by any measure or engineering
4 standard. So it wouldn't include treatment of
5 that type of waste water.

6 But I think the other issue we wanted to
7 bring up was it wasn't just operators. There
8 was another company memorandum, Joe Butzer in an
9 incident report of January 13 brought this issue
10 up. This was a continuous longstanding problem
11 and something needed to be done about it.

12 MS. HAYES: It's not here in my
13 list, but it states B crew on my round noticed
14 oil in the NOWS, checked B5, discovered oil and
15 notified shifties. Two possible causes, manhole
16 by tank 500 was overflowing into clean sewer and
17 then there's something else there. That's
18 one -- that's another notification that came
19 from B crew. I don't know who constitutes B
20 crew in that situation, but --

21 MR. VOYLES: January 13th of which
22 year?

23 MR. KRIENS: '96. There's a memo
24 that corresponds to that other discussion.

25 MS. HAYES: Joe Butzer you mean?

1 MR. KRIENS: Yeah.

2 MS. WIENS: Not a memorandum, you
3 mean a log?

4 THE WITNESS: It's an incident
5 report that is done.

6 BY MR. KRIENS:

7 Q. Okay. The question we have is was there any
8 communication in place between the operations
9 department and the environmental department to
10 take care of this type of problem, and why did
11 it take so long? In fact, it didn't really get
12 taken care of until we were out there in April.

13 MS. HAYES: And when we interviewed
14 Joe about this, not to put Joe on the spot,
15 that's not the point, but Joe said about the
16 memo he wrote, the first one that I gave you, he
17 said you can see in my tone that I'm frustrated
18 about it. I mean, I don't know if that's exact,
19 I'm paraphrasing, but it was close to something
20 like that. So we just need to ask.

21 MS. WIENS: And I think, since
22 there's not a date on it, so to put it in
23 context, I think it was a time when B5 -- when
24 they had that cleanup on B5 the one time. I
25 think we heard people say there was some kind of

1 significant spill on B5, and that was, I think,
2 what Joe said is when this was generated.

3 MS. HAYES: Yes, that sounds right
4 to me, uh-huh, late '95, early '96, was that it?

5 MS. WIENS: I think we were trying
6 to determine was it early '95 or was it early
7 '96.

8 THE WITNESS: I don't think I have
9 an answer for you as to why this wouldn't have
10 come up. It was sent through systems and it
11 fell through the cracks one way or another.
12 Again, we do have systems in place to try and
13 catch these things and try to improve it.

14 Don has been involved in a lot of the
15 things that we have done with the MCDS program
16 over the years, and we've recently come on
17 with -- was it in '96 when -- I can't remember
18 how long.

19 MS. HAYES: '96.

20 THE WITNESS: '96. When you look at
21 the stuff we've done with the lab and the
22 treatments system overall, there's a lot of that
23 that's done. We've also recently, obviously,
24 looked at our infrastructure throughout the
25 plant and said we are going to improve that.

1 And that's part of a survey that you were saying
2 you hadn't -- I'm pretty sure you haven't
3 received it because I don't think it's completed
4 yet, but that is being done and it will be
5 understood and it will be completed. We're
6 really looking at that hard. Why this was not
7 brought up, I don't know.

8 BY MS. HAYES:

9 Q. Okay. I wanted to bring up the issue, this is
10 around the January 13, '96, the B5 -- I think it
11 was an overflow, I think there was an overflow
12 involved on this. Right now I'm not absolutely
13 clear about this, but the document number is
14 3978 and the date is January 16, 1996. And it's
15 a memo from Heather on the cause of the -- in
16 this case the major leak in 16E5, that's an
17 exchanger for the slop system, that resulted in
18 significant oil spills to the NOWS. It looks
19 like this is in your writing (indicating). You
20 say please follow up on the boom deployment
21 issue I think is what you state there.

22 A. (Views document) What was the question?

23 Q. I'm just wondering how it is that you got this.

24 A. Obviously Heather provided me a copy. I don't
25 know who it was indicated to, but one way or

1 another this copy came to me. There was
2 something in the incident, and I don't recall
3 except that there was a question about the boom,
4 why the boom wasn't deployed correctly or
5 whatever. My question back to Heather was
6 please follow up with boom deployment, do we
7 need to train or retrain folks on how it is
8 done. And then in an incident investigation,
9 operations was in charge of the incident
10 investigation to make sure that these incidents
11 don't reoccur throughout. So when an
12 environmental incident does occur we provide our
13 input as much as possible, they then follow
14 through and correct those situations.

15 Q. Was this related to an overflow at B5?

16 A. It says here there was a major leak in 16E5 that
17 resulted in a significant oil spill to the
18 non-oily water sewer. The oil did reach B5
19 lagoon. It did not talk about an overflow at
20 B5, it talks about just being an oil -- some
21 oil. It may have been a sheen, it may have been
22 more than that, I don't know from here, but it
23 says oil did reach B5 lagoon and was contained
24 by the booms and flow diversions. It was then
25 removed. So it does not talk about an overflow

1 here.

2 MR. KRIENS: I don't believe it was
3 an overflow.

4 THE WITNESS: My guess is that it
5 was probably some oil that had gotten on B5.

6 MS. HAYES: Actually I think it was
7 in '97 that you had one of the major overflows
8 from B5, early '97 rather than '96.

9 MR. KRIENS: That one I think was a
10 fairly -- as I recall when we talked to Schlomka
11 and others that it was a fairly substantial
12 amount of oil that got there as a result of
13 this. And it was backed off but didn't result
14 in an overflow, that I know of anyway. And I
15 think that is what -- as I recall when we talked
16 to Butzer, that is what precipitated his
17 memorandum on this general issue of the oily
18 water to clean water sewer and caused him to
19 discuss this problem with tank 500.

20 BY MS. HAYES:

21 Q. So his memo must be around January of '96 I
22 think, because -- but I guess what I'm wondering
23 was there -- were there booms there and they
24 just weren't being used properly? Was that your
25 understanding?

1 A. I don't believe we have any booms or ever used
2 booms on an normal basis on B5. We have the oil
3 separation channels that's in place and if
4 something gets out of there and gets on the pond
5 then you would put a boom in and drag it to one
6 side where you could contain it and then vac
7 truck that off. We don't -- as you have seen
8 with your inspections, we do not normally keep
9 booms out there because there should be no oil
10 out there.

11 Q. Yeah. Did you then follow up with Heather on
12 this?

13 A. I don't recall that I -- I don't recall on that
14 issue whether there was a response back or not.

15 Q. Okay. When were you first made aware of the B5
16 overflows?

17 A. Which?

18 Q. Well, you've got a couple of them that we've got
19 documentation for. There was one at the end of
20 '95 because we've got a memo from -- I'm sorry,
21 '96, because there's a memo that wasn't dated
22 from Karen Hall that was discussing that around
23 the -- it comes up around the hydrant spraying.
24 I can find that memo. And there's a log or a
25 memo that -- probably it's a operator log, from

1 5/8/96, where an operator is stating that he's
2 heard that the Nows basin is overflowing. I
3 guess we can't be certain that's B5. And then
4 there's an overflow of B5 on 1/15/97 and then
5 one on 2/12/97 and one on 3/25/97.

6 MR. KRIENS: And apparently one in
7 December of '96 as well.

8 BY MS. HAYES:

9 Q. Yeah, that's the one I'm talking about, the one
10 from Karen Hall. That comes from a memo that
11 kind of in passing mentions that last week she
12 heard the B5 had been overflowing. And then
13 back to the question, when were you first made
14 aware of that issue, Steve?

15 A. I don't recall any specific events on those. I
16 would have to go back and look at the logs to
17 try and refresh my memory. I don't recall right
18 now specific events. If you've got some stuff
19 for me to look at I might be able to.

20 Q. This is a memo from Karen, indicating). She
21 said that she did this probably Monday the 6th
22 of January, '97, the number is 3812, she doesn't
23 have a date on it. And underlined here there's
24 discussion about B5 overflowing the week before.
25 That's one issue, that's one time.

1 A. (Views document) My guess is when I got back in
2 the office I was probably informed of the
3 incident, but prior to that -- in fact, the
4 letter talks about they did not call me at home,
5 they thought I was out of town, which I wasn't,
6 I was home sick with the flu, so according to
7 the memo -- I don't remember the specific
8 incident, but I'm sure when I got back in the
9 office we discussed it.

10 Q. Here's a couple of logs that discuss this, it's
11 from 5/8/96, the number is 371. Go ahead and
12 look at those.

13 A. (Views documents.)

14 MS. WIENS: We talked to Todd Aalto
15 about this one, do you remember? And he didn't
16 say it was a B5 overflow.

17 THE WITNESS: I'm not sure of the
18 definition of non-oily water sewer basins here,
19 and I would probably have to go back and find
20 out whether that is or is not an overflow. That
21 I don't know.

22 MS. WIENS: Do you recall what basin
23 that was from?

24 MR. KRIENS: I thought it was B5
25 basin, but I don't recall specifically.

1 THE WITNESS: Was that the date of
2 Karen's memo?

3 MS. WIENS: 1/16 I think.

4 BY MS. HAYES:

5 Q. I asked her and she said she thought she
6 authored it about January 6 of '97.

7 A. Okay. I don't have any specific knowledge on
8 this event on the 15th, but it's in the log
9 (indicating)

10 Q. Well, as I recall when we were out here in April
11 when we asked about that the environmental
12 department didn't acknowledge that they knew of
13 overflows from the B5. That's my recollection.
14 I mean, I'm talking about we asked you and Karen
15 and I think Heather when we were near there, we
16 asked about it, and I don't think that you or
17 any of the other people from environmental
18 acknowledged that there had been overflows
19 there.

20 A. I don't recall the specific question, what was
21 asked back then, but if you're asking the
22 question now, obviously for Heather, I would say
23 Heather knew from this memo here and here. It
24 says Heather, we should increase flows. So I'm
25 assuming Heather probably knew B5 was

1 overflowing or had overflowed. And I thought we
2 had also talked about RQs at that time. And
3 this was in January, because that was the time
4 frame in which we were trying to understand was
5 this a reportable quantity or would not be a
6 reportable quantity based on the ammonia.

7 MR. KRIENS: You mean of a spill or
8 on an overflow?

9 THE WITNESS: Due to an overflow.
10 Because of the amount of ammonia being in the
11 water itself.

12 BY MS. HAYES:

13 Q. Let me go back for a second because the way that
14 we actually determined there was an overflow was
15 by looking at the ground. I don't think that we
16 got any -- and then we took samples of that
17 area, Steve, and ammonia is not the issue there.

18 A. We also -- well, the other thing, we need to go
19 back and look in the files. Speaking with some
20 of the folks that have been around here
21 historically, we have cleaned those basins out,
22 and this is my understanding with PCA's
23 approval, where they put -- the material was --

24 MR. KRIENS: I doubt it.

25 THE WITNESS: I said this was my

1 understanding, because this was historical, long
2 before I got there. Where that material went
3 was along the sides -- the west side of that
4 basin and on the north side of that basin. My
5 understanding is that was all negotiated and
6 done prior. We would have to go back in the
7 files and look.

8 BY MS. HAYES:

9 Q. We are going to go back to that because that's
10 another issue we wanted to talk about with you
11 today. Maybe I -- I'm not sure that I should
12 bring that up right now because I'm not prepared
13 with the memo, but I believe there's a memo from
14 Heather in our documents that says the practice
15 of taking sludge and applying it -- is it north
16 of the B5?

17 MR. KRIENS: From the neutralization
18 basin and disposing of it north of B5 must be
19 discontinued. I think that was written in '96.
20 Because actually that's disposal of hazardous
21 wastes out at that area from those basins.
22 Normally it wouldn't be a hazardous waste if the
23 basins were used for their intended purpose, but
24 because of the frequent overflows of processed
25 waste water into them, the solids that

1 accumulate in there then becomes hazardous waste
2 according to the rules.

3 MS. WIENS: Which neutralization
4 basin are you referring to?

5 MR. KRIENS: The neutralization
6 basin is the tank that's ahead of the -- it's
7 before the non-oily water basin B5. It's a
8 small basin before that.

9 MS. WIENS: Is that what they call
10 19?

11 MR. KRIENS: No.

12 THE WITNESS: You're referring to
13 the neutralization basin as the channel on the
14 area north of B5? Is that what you're reference
15 is to?

16 BY MR. KRIENS:

17 Q. No. As I understand it there's another basin,
18 and I don't have the drawing, that is used for
19 pH adjustment primarily ahead of B5 or ahead of
20 that sewer.

21 A. We would have to look. I'm not that familiar
22 with the flows down there, but there are
23 neutralization basins that are just north of the
24 API separators, and they do use those for pH
25 adjustment, but I'm not -- I don't know the

1 flows well enough to state whether that was
2 commingled with any other waters than the water
3 coming from the boiler house. I would have to
4 look.

5 Q. We can look at that.

6 A. Based on that it would strictly be the boiler
7 house, and it would be de-mineralization of the
8 well waters.

9 Q. If it was that, yeah.

10 A. And therefore it would not be a hazardous waste.

11 Q. In that case, no. What we're referring to,
12 going back, and maybe we need to address that
13 later and find out what that means, but when
14 we're talking about the overflows from the B5
15 north basin, when we were there in April we
16 discovered -- because there was a rather obvious
17 ravine where this water had overflowed and
18 washed out, I mean, we could see an area I
19 estimated 400 feet by a couple hundred feet
20 where it had ponded up. So there is obviously
21 some pretty large spills or overflows from that
22 pond. And we collected upper sediment from that
23 area and found fairly significant contamination,
24 which indicates that there was some water there
25 certainly other than storm water that caused

1 that contamination.

2 MS. HAYES: And beyond concerns
3 about ammonia, we were -- we found significant
4 levels of organics.

5 BY MR. KRIENS:

6 Q. We didn't receive notification of these spills
7 that we're aware of.

8 MS. WIENS: The B5 ones?

9 BY MR. KRIENS:

10 Q. Of the B5. Do you know why those were not
11 notified?

12 A. From an RQ -- we looked at the RQ standpoint I
13 know after January to understand that. Based on
14 the ammonia is what triggered that thought
15 process. We were not aware of any RQs that were
16 being exceeded prior to that. I also -- I guess
17 from a standpoint the overflows itself, I'm
18 still not certain that we were aware of those
19 prior to the January ones. We, as in
20 environmental department, would have been aware
21 prior to that point.

22 Q. Isn't that part of your charge, to find out
23 what's occurring down there, determine what's
24 going on, how it's operating, or is that not
25 part of your department?

1 A. We have to hire good people and try to train
2 them and tell them what we believe to be in
3 compliance and what out of compliance means. We
4 have to trust a lot of that. We're not here --
5 I'm not here 24 hours a day, I'm not --

6 MS. HAYES: Nobody is suggesting
7 that you are.

8 THE WITNESS: What I'm saying is
9 there are things that, obviously, as operations
10 department we're trying to do the best job we
11 can. We try to give them the best advice we can
12 to keep them essentially -- stay between the
13 lines, don't go outside the lines, that's not
14 what we're supposed to -- we're supposed to stay
15 between the lines. To the best of our ability
16 we transmit that information, to the best of our
17 ability, I mean that for everybody, they try and
18 absorb that information. And that means did we
19 recognize that would have been an issue that you
20 would have taken exception to? At that time I
21 don't think so.

22 BY MR. KRIENS:

23 Q. Are you aware of requirement by statute, it's
24 115061, of the duty to notify and avoid water
25 pollution, that sort of thing?

- 1 A. The specific statute I'm not.
- 2 Q. Does Koch have any policy then that you will
3 notify the MPCA or others on spills?
- 4 A. If we believe we have reportable spills we do
5 notify. And we have done that over and over
6 again.
- 7 Q. So my question is do you see that an overflow of
8 water that would be composed of pollutants of
9 that nature, oil and grease, metals and so on
10 that were discovered in those soils coming from
11 that area, do you see that as not reportable or
12 reportable?
- 13 A. If we were to recognize it, that it contained
14 that, we would have to make a determination at
15 that time. I don't think we have any prior
16 determinations that it would be or not be. So
17 you have to try to understand what was in there.
- 18 Q. Did the company make any attempt then -- I guess
19 perhaps you didn't since you didn't know about
20 it, but if you did -- or did you make an attempt
21 to find out what was in that water that caused
22 that contamination?
- 23 A. Prior to the January overflow we did not, to my
24 knowledge, try to identify any of the content of
25 that water. It was -- the assumption was it was

1 storm water, it was non-oily water sewer water.

2 BY MS. HAYES:

3 Q. And when you say we there, are you talking about
4 environmental?

5 A. At that point it would have to go even beyond
6 environmental. I mean, we would normally try to
7 do some of that determination when asked, but I
8 don't think anybody recognized that this could
9 potentially have been a spill, it could
10 potentially be a reportable based on
11 constituents. If they had it would be called
12 in. Then on-call engineer -- we have an on-call
13 engineer 24 hours a day literally on call that
14 can advise and then report as necessary. So
15 those things do come up. When somebody says
16 gee, I've had a spill, I've spilled six gallons
17 of oil out there, we know that five gallons or
18 less is not reportable because it's an
19 exclusion, if it's above five gallons they call
20 it in. They have already made the determination
21 what the volume might be. If it's above that
22 five gallons, and I don't see anybody trying to
23 take six and say ah, it's only five. They don't
24 do that. If they think it's six, it's six, we
25 get notified, we make the proper notification

1 and call it in.

2 BY MS. HAYES:

3 Q. So what happened in January that made you decide
4 to take a look at what you've got in terms of
5 waste water?

6 A. We discussed the issue about the overflow of B5,
7 and I don't recall who "we" was, I remember a
8 discussion, but I don't remember who all was
9 involved. We said what about an RQ for ammonia
10 because of the ammonia problems we've been
11 having in the plant. We looked at it, they took
12 an estimate of the amount that had overflowed,
13 and I don't recall whether that was the
14 determination at that point, whether it was
15 above the RQ or below the RQ.

16 BY MR. KRIENS:

17 Q. So you're just looking at the federal reportable
18 quantity requirement and not considering the
19 state rules, statutes?

20 A. We were trying to the best of our ability to
21 understand the state statutes on that also.

22 MS. HAYES: We feel like you missed
23 115061, just for the record.

24 THE WITNESS: You know, I understand
25 Don is stating he believes that there were other

1 constituents in the water. What I'm stating is
2 at that point in time there was not a
3 recognition that there were other constituents
4 in that water.

5 MR. KRIENS: Well, maybe I can
6 agree. Perhaps not at that point in time, but
7 had the environmental department and, I guess
8 from what you say today, everybody been aware
9 more fully of the continuous overflows of
10 processed water into the clean water sewer it
11 would have been to me a reasonable presumption
12 or conclusion to be concerned that there could
13 be other things in there. And indeed there was,
14 as we found, or we believe there were at some
15 time.

16 MS. WIENS: I think you are jumping
17 to the conclusion, that you found something
18 beyond B5 then that had to have come from B5. I
19 think, you know, you jump to that conclusion,
20 but I'm not so sure that's, in fact, the
21 conclusion.

22 MS. HAYES: It had to do with the
23 way the gully was more right on the north side.

24 MS. WIENS: I'm just talking about
25 that was, I'm not talking about the fact that it

1 did or didn't overflow. There could be other
2 reasons why that soil is the way it is and it
3 could have nothing to do with B5.

4 MR. KRIENS: Perhaps. And if there
5 are other reasons why it was then we would be
6 interested in knowing that as well, but it
7 appeared that it was from that because of the
8 nature of the erosion, and then also we did take
9 samples from the very upper surface of the soils
10 there, the top couple millimeters.

11 MS. WIENS: I'm not talking about
12 the erosion, I'm talking about the content of
13 the soil. I'm not talking about there isn't any
14 evidence of erosion, I'm just talking about what
15 was there.

16 MR. KRIENS: Yeah, and that's why we
17 did sample the very top part, and it's certainly
18 not a scientific conclusion that that represents
19 necessarily the contents of what was in the
20 water, but by most measures it generally is the
21 case. But that's a good point, one that we
22 would like to understand and make sure of, too.
23 I think the question we had was in consideration
24 of the number of overflows and the nature of the
25 water that was in there at times, it would have

1 been a prudent environmental response to have
2 notified the MPCA I think.

3 MS. WIENS: The number of overflows
4 of what? B5?

5 MR. KRIENS: Of oily water in to the
6 non-oily water sewer.

7 BY MS. HAYES:

8 Q. That could have ended up in B5.

9 I guess I would just like to get your
10 feel for after you became aware of that problem,
11 Steve. Did it occur to you to ask what was
12 going on that you didn't have freeboard like,
13 for example, in December, January enough so that
14 your pond wouldn't be overflowing? Was that
15 something that came up for you?

16 A. The freeboard was discussed. I don't recall the
17 time, it was discussed, but we also knew we were
18 having operational problems. We are required by
19 our permit not to discharge water to the river
20 that is in excess of our limits, so in order to
21 try to help the operation as much as possible
22 there was water that was being held and
23 contained to try to get further treatment on it
24 at a later date as required. So yes, we
25 understood the freeboard and we were trying to

1 manage that as closely as possible.

2 MR. KRIENS: Does the permit
3 actually say you cannot discharge water in
4 excess of limits in that way.

5 THE WITNESS: I believe it does. I
6 think it also requires us to store the water.

7 MS. HAYES: Could we take a break?

8 (At this time a short break was taken.)

9 BY MR. BERGER:

10 Q. Steve, I want to address a couple of issues
11 regarding the oily water sewer from the
12 hazardous waste standpoint. The first one is
13 one that we talked a lot about in these
14 interviews, and it's my understanding that the
15 oily water sewer, the purpose of the oily water
16 sewer is to contain and treat oily water that is
17 generated in this facility. And I know there's
18 a lot of water that's used in your process to
19 make gasoline and the things that you do, and
20 you generate water that's contaminated, like
21 sour water, and it's treated. But what I've
22 seen in a lot of these logs and what has been
23 confirmed through these interviews is that the
24 oily water sewer is also used for the disposal
25 of materials of products, pure things like that

1 naphtha or methanol or ethanol, gasoline, fuel
2 oil that's generated in a unit in the processing
3 area, and for whatever reason is being released
4 to the oily water sewer.

5 Most of the reasons we've heard in these
6 interviews have been for maintenance situations
7 where it's not an emergency situation, it's a
8 planned maintenance step, the unit is coming
9 down and there is an amount, we've heard from
10 10 gallons to 200 or 300 gallons of these
11 materials I've mentioned that are just -- the
12 tap is opened and the materials are released to
13 the oily water sewer. I have a problem with
14 that, and that's an area we have been
15 discussing. I believe that that is an improper
16 use of the oily water sewer and that that is in
17 treatment of a hazardous waste from the
18 generator rule perspective. If you are mixing a
19 hazardous waste with waste water or some other
20 waste you have to have a permit to do that, and
21 that is not in Koch's permit.

22 I guess initially the question is what is
23 your opinion of that? Do you feel that I'm off
24 base or do you have another version of that or
25 how do you feel about what I just said?

1 MS. WIENS: Before you answer that,
2 Steve, I do not expect Steve to answer a legal
3 question about what the legal ramifications of
4 what he does or what he doesn't do. We
5 anticipate answering any questions you have
6 about what happened factually, but applying the
7 facts to what the law is, that's not what Steve
8 is here to do. We can do that with you and are
9 happy to do that with you any time, but that's
10 not Steve's role.

11 MS. HAYES: Can I just comment?
12 Because when Steve was first telling us what his
13 role was he said it's his role to understand the
14 regulations. So in that sense isn't it a fair
15 question to ask him what the interpretation of
16 the regulation is?

17 THE WITNESS: But I don't do that in
18 a vacuum. That's why I do have counsel
19 available, to help with those opinions. I mean,
20 you folks have the same thing. As an
21 enforcement, you are required to understand the
22 regulations, but yet you've got Chris Hulsebus,
23 your attorney, or you've got Richard Cooley as
24 your attorney. The same things applies on this
25 end, yes, we are charged to try and understand

1 those things to the best of our ability, but
2 that's why we hire these folks, because they
3 really can dig it apart.

4 MS. WIENS: We anticipate Steve
5 answering your questions about what happened.
6 We didn't anticipate him answering questions
7 about is what you have done legally okay or
8 permissible or pursuant to your permit. We will
9 answer those questions for you, but not through
10 Steve.

11 BY MR. BERGER:

12 Q. I think I understand what you're saying, and let
13 me take a different tact then. I'll show you a
14 couple logs here, Steve, of examples of what I'm
15 talking about. You can read those (indicating).

16 A. It's document 1269, 2/26 and 27 of '96, waste
17 water treatment plant logs. (Views document)
18 Okay.

19 Q. (Hands document.)

20 A. The next log is a waste water treatment plant
21 log designated 163 as the number, 2/21 and 22 of
22 '96. (Views document) Okay.

23 Q. (Hands document.)

24 A. No stamp on this one.

25 Q. That one might have come from another source.

- 1 A. So we have a waste water treatment plant log of
2 8/2/94, but it's not stamped, did not come
3 through -- it probably came through our document
4 production.
- 5 Q. Right.
- 6 A. (Views document) Okay.
- 7 Q. Do you know about those type of releases through
8 the oily water sewer system?
- 9 A. Can you restate your question? I'm not sure I
10 understand.
- 11 Q. Do you know about those types of materials being
12 released to the oily water sewer system?
- 13 A. Is it practice for us to be able to utilize our
14 sewer system to transport hydrocarbon to the
15 waste water treatment plant for separation and
16 recovery? Yes, I would say that is a practice.
17 In fact, I would think that's also found in our
18 MPDS permit, along those same lines.
- 19 Q. You say recovery, where is the recovery in that
20 system?
- 21 A. The API skimmer would skim that off, and that
22 oil would then be recovered to the slop oil
23 system.
- 24 Q. We have been told by a number of Koch personnel
25 that the purpose of the API skimmer is to skim

1 off oil, and I think they mean the heavy oil,
2 we're not talking about light solvents.

3 A. From a standpoint -- you look at the specific
4 gravities, first of all oil and water are not
5 mixable necessarily without a lot of surfactants
6 and that kind of thing, as you know. The
7 specific gravity water, which is 1.0, oil pretty
8 much across the board, with the exception of
9 asphalt, has a specific gravity less than water,
10 so it floats on water. That's why the skimming
11 system works. So whenever you have water and
12 gasoline in a mixture, shake it up or whatever,
13 wait for a period of time it will separate, the
14 water on top, the oil on -- the oil, and I'll
15 use oil across the board as everything from
16 light ends and dissolve phase all the way down
17 to essentially a 1.0 interface. When that --
18 when specific gravity gets greater than 1.0 it
19 would literally head to the bottom. So oil in
20 the area of propanes, butanes, pentanes,
21 gasoline streams, fuel oils, gas oils, which are
22 lube oil type mixes, all have specific gravities
23 less than water, they will float on the water.
24 That's why the API skimmers work. You then
25 crank the skimmers down to the point when you

1 get the interface, that oil flows into that, is
2 separated off, essentially water free other than
3 maybe a little bit of water which can be
4 separated out again in the tank, the water
5 underflows, think about the underflow and
6 overflow wiers that you have in the system, the
7 water underflows and gets sent off to biological
8 treatment, depending on the phase, it might be
9 the asphalt.

10 BY MR. KRIENS:

11 Q. Is that an absolute system, a hundred percent
12 totally effective for that separation? Is there
13 ever some carryover?

14 A. That's why we have biological basins and dafts
15 and all the rest of that, to remove that
16 dissolve phase.

17 Q. If you have any type of oil fraction, is there
18 some solubility in water that is not going to
19 separate off in that phase regardless of the
20 specific gravity?

21 A. This is a fuel -- if there's a case I'm not
22 aware of it. This is a fuels refinery, gasoline
23 works that way, fuel oil works that way, gas
24 oils work that way, asphalt works that way.

25 Q. But that wasn't the question. You're coming

1 down the sewer, it's composed of water and oils
2 in mixtures.

3 A. Right.

4 Q. Some of these constituents, gasoline, naphtha,
5 benzene, however it is at the time, does have
6 some solubility within water up to its
7 solubility product.

8 A. Okay.

9 Q. So it is going to be in the water phase.

10 A. The water then underflows that skimming system
11 and that goes throughout the waste water
12 treatment plant, through the dissolve flotation
13 into the biological treatment and where those
14 oils are removed. Otherwise, if we could do it
15 with just gravitational, because essentially all
16 we're talking about is specific gravity here,
17 it's a gravitational separation. We've got
18 skimmers, we've got API, you've got a couple of
19 those points where you've got wide spots in the
20 line, nice low velocities so things can settle
21 out and get you an interface. You then put that
22 through a skimmer, you pull these oils off and
23 send them out. We literally call that dry slop.
24 It's essentially water free. You can put it
25 back into the distillation tower. If it's got

1 water in it you put it in the distillation
2 tower, the distillation tower gets thick real
3 quick because water expands too rapidly.

4 So those systems, I mean, those you're
5 going to find in every refinery throughout the
6 U.S. as well as the world. Those are good
7 systems. The oils -- and by oils we're not
8 talking about fuel oils here, we're talking
9 about gasoline, we're talking even butanes and
10 pentanes and maybe even dissolve propanes in
11 there. That's all specific gravity related.
12 The water will sink, the oils will float with
13 the except of asphalt, which usually has a
14 gravity greater than water and it would
15 literally come underneath. Which is some of the
16 problems you have to watch when you deal with
17 asphalt. If you have hot asphalt and you put it
18 on water, the asphalt can cover it and it's
19 trying to keep it down as opposed to the water
20 there, it can cause some steam and that kind of
21 thing happening.

22 Q. Right. And we understand that mechanical
23 separation process and that it isn't a chemical
24 separation because there is some solubility with
25 these compounds that go on through and the fact

1 that a flush is there to take them out, although
2 that's not always a hundred percent efficient.
3 Presumably it is a treatment system that is
4 designed to accommodate that type of waste and
5 acclimated, in fact, to do that. We're not
6 disagreeing with you there.

7 MR. ESPEL: Isn't the system
8 measured, and this is more a question. I think
9 it's true, but I don't know really. I mean, the
10 efficiency of the system, There is an oil and
11 grease test in the affluent which is sort of
12 like a monitor on that, isn't it? Is that what
13 that is for?

14 MR. KRIENS: It's more of an
15 indicator.

16 THE WITNESS: You've got a couple,
17 you've got BOD, COD and you've got an oil and
18 grease. All of those are really measures for
19 hydrocarbons.

20 MR. KRIENS: Well, they're a very
21 rough measure of hydrocarbon. In fact, they're
22 just more of an indicator, a rough indicator,
23 and it's done because they're easy to do and
24 cheap to do and that's the way you do it.

25 THE WITNESS: They serve us for

1 understanding the efficiency of the plant, if
2 nothing else. Does that answer your question?

3 MR. BERGER: Yeah, that helps a lot.
4 I guess that's the best explanation I've gotten
5 of the API separator.

6 MR. ESPEL: You said sort of like
7 it's only for oil and not for the light ends,
8 and was it helpful to understand the
9 relationship of those, that they're all lighter
10 than water?

11 MR. BERGER: Yeah, yeah.

12 THE WITNESS: I think what typically
13 happens, if there's any other oils in the sewer
14 itself, all the oils are going to be mixable
15 together, the water and the oil will not.

16 BY MR. KRIENS:

17 Q. What we were really -- I think what we are also
18 trying to get at here was to understand why, in
19 some events at least, some product or waste, not
20 necessarily waste water, but product or waste
21 that could have been recovered via a vacuum
22 truck or tank truck or something like that and
23 taken over to the slop oil recovery system or
24 some recovery system like that, which we
25 understood tank 63 basically is, and disposed of

1 there instead of dumping down the sewer, by
2 doing that it seems, number one, it's a more
3 efficient way to do it for Koch in terms of
4 recovery of that oil or that material because
5 it's absolute in that case, it isn't emulsified
6 and mixed and you don't rely on the API to do a
7 hundred percent of the recovery. And then
8 second, it isn't dumped down the sewer. So we
9 think it's a better way to manage waste.

10 If that's available in those cases where
11 they say well, we're going to dump 300, 400
12 gallons of naphtha, instead of dumping in the
13 sewer we think it's more prudent way to deal
14 with it to recover it and take it directly.
15 Rather than going to the sewer, relying on a
16 system that is not a hundred percent efficient
17 by any means in the recovery of oils to do that.

18 A. I understand that was a statement, but I would
19 probably expand upon that a little bit from the
20 standpoint that I would probably argue that a
21 little bit. First of all, the sewer system is
22 in place, it sets up, it does go to a hard pipe
23 system. By using a vacuum truck I have a
24 potential of a spill, I have a potential of the
25 truck having a problem, I have a safety problem

1 potentially. There's a lot of those issues that
2 can occur. The hard pipe system in the sewer
3 system is in place. Obviously that's made you
4 mad.

5 Q. No, not mad. We're not interested in being mad
6 at anybody, but it's disconcerting because we've
7 talked to others where it seems like that's
8 relatively something easy to do in some cases at
9 least.

10 A. Why would you want to include -- here's my
11 thought process. When you go through issues
12 about handling and safety, the more steps you do
13 the more complex it gets the more chance for a
14 problem.

15 Q. Isn't there a safety issue with respect to the
16 volatility, flammability of this material
17 dumping down the sewer? In fact, that does
18 occur.

19 A. If it's in the oily water sewer those sewers are
20 sealed. They have carbon canisters on them to
21 meet other rules that we've got in place. We
22 have not had sewer fires here, to my knowledge
23 at least, since I've been here, and I'm fairly
24 happy to say that. Those sewers are sealed,
25 they do take that product down to an area that

1 can safely handle it. That area is also sealed
2 up, it's vented back to the thermal oxidizers to
3 the waster water treatment plant. Those oils
4 are recovered in the dry slop area. I would
5 say -- I would much rather use that system
6 personally than using a vac truck system and run
7 a bunch of vac trucks in and out of here.

8 Q. Isn't there material brought in via vac truck
9 from spills, from clean out of tanks, from a lot
10 of activities in the normal course of the
11 operations here that is taken to tank 63?

12 A. You mean have we used vac trucks for various
13 things within the plant? Sure. And you want to
14 minimize such use.

15 Q. I'm not, you know, interested in trying to tell
16 you how to do it, but it just seems to us that
17 that's used quite often. In the logs we see
18 it's used all the time.

19 A. It is.

20 Q. We've talked with other people here and they
21 seem to agree that that would be no problem.

22 A. I would disagree that that would be a better
23 alternative than using a sewer from the
24 standpoint the sewer is already hard piped, it's
25 in place and I've got the capability of

- 1 capturing that oil down at the waste water
2 treatment plant.
- 3 Q. When you talk about the sewers, are the sewers
4 all of adequate integrity?
- 5 A. That's part of our infrastructure review right
6 now that's going on.
- 7 Q. So is there a chance then that some of this
8 materials could get out of the sewer at this
9 time, or was there at any time when it could
10 through boxes or whatever?
- 11 A. That would be pure speculation on my part.
12 That's why we're evaluating and reviewing that
13 particular part of the system.
- 14 Q. We've talked to some --
- 15 A. We've had oily water sewer leaks before and
16 we've reported those when we found them. We're
17 trying to go from top to bottom, north to south,
18 side to side our entire system right now and
19 make sure that it's fine.
- 20 Q. Have there been any problems with sewer
21 deterioration?
- 22 A. Since? I don't understand the question.
- 23 Q. The last couple years. Sewer deterioration,
24 concrete box deterioration, any deterioration at
25 all where the sewer has had to be rehabilitated?

- 1 A. Certainly. I mean, we've reported -- in fact,
2 down in one of the units, and I don't recall the
3 unit number now there was some cracks in a
4 concrete box or the floors were a problem. I
5 don't know all the specific details.
- 6 Q. Isn't there a box down by the waste water plant
7 itself, in that area?
- 8 A. I'm not specifically aware of it. That's why
9 I've got staff. I don't stay on top of every
10 little detail.
- 11 Q. I bring it up because when you say that that's a
12 safer alternative it doesn't necessarily equate
13 that to us in that way when it has a
14 deteriorating nature.
- 15 A. It all has to be consistent, yes.
- 16 Q. When you're talking about making sure that it
17 gets there and that it's recycled back through
18 the API, the important thing then is to make
19 sure that it gets there, and if the sewer is
20 deteriorated in some areas allowing it to go out
21 of the sewer then it's not a very adequate
22 system.
- 23 A. At that point (nods head).
- 24 BY MR. BERGER:
- 25 Q. So if I understand this correctly then, you view

1 these materials that are released into the oily
2 water sewer as a product being recycled, is that
3 correct?

4 A. In my opinion that's exactly what it would be.

5 Q. Okay. How about in the case of the oily water
6 sewer documented at least 50 times overflowing
7 to the non-oily water sewer? You have a
8 separation where these materials are flowing in
9 the waste water and now you have a release of
10 that material to a non-oily water sewer. How do
11 you feel that fits into this situation?

12 A. State that again.

13 Q. I'll tell you what I guess I think it is and you
14 tell me. In your scenario where it goes to the
15 API skimmer and is taken off, I can see where
16 you're coming from. I'm not too sure if I agree
17 yet or not, but I understand what you're saying.
18 But what if in this situation where it's
19 overflowing you have this release of materials,
20 you can't now call it a product, you're going
21 have to call it something else because it is not
22 going through your recycling system. If you
23 can't call it a product you have to call it a
24 waste. If you call it a waste you've got to
25 call it a hazardous waste. Now you have a

1 situation where you are releasing hazardous
2 waste through your non-oily water sewer system.
3 That's a concern.

4 My understanding of the whole process,
5 the API is way down the line here, the sewer 500
6 where we've had this overflow situation is way
7 up the line, and you have this material coming
8 down the non-oily water sewer. I guess I don't
9 know if you want to comment on that or not, but
10 that is a concern now.

11 A. I'm trying to understand the exact question you
12 want me to comment on.

13 Q. I don't know if it's necessarily a question I
14 guess. I guess I'm just making that statement,
15 that now is a concern.

16 A. You're correct in the API is quite a ways down.
17 The manhole, are you referring to 500?

18 Q. Right.

19 A. Okay, I wanted to be sure we're talking about
20 the same one. It depends on what is coming into
21 that manhole. And coker pond water would come
22 into that manhole. Beyond that I don't know the
23 other exact flows. I know there's people around
24 here that know all the exact flows. Beyond that
25 particular flow I don't know if there was

1 anything else that came in there as opposed to
2 that one. It was my understanding that one went
3 to another area that then went down to the waste
4 water treatment plant, so it may very well have
5 been just coker pond in there. Again, I don't
6 know if there were anything else, any other
7 streams into that particular manhole.

8 MR. KRIENS: They are other ones we
9 understand.

10 THE WITNESS: Okay. We would have
11 to understand these constituents as to whether,
12 okay, it may be designated an oily water sewer,
13 but it may never see -- I could have an oil
14 water sewer that may never see oily water. I'm
15 not saying that's the case, I'm saying I don't
16 know what other flows besides the coker pond
17 water go directly in there. If that one goes in
18 there then jumped over to the main line and then
19 down to the waste water treatment plant was my
20 understanding.

21 BY MR. KRIENS:

22 Q. There were other --

23 A. It went into that manhole?

24 Q. It goes into that sewer, into that sewer.

25 A. That manhole then takes a line over to another

- 1 one coming in.
- 2 Q. Right, picks up another one.
- 3 A. There's a whole bunch of other ones that go in,
4 that go down the main line to the waste water
5 treatment. I don't know if there's any other
6 specific things that go directly into that, so
7 when it overflows if that's just coker pond
8 water or is that coker and something else or
9 what is.
- 10 Q. It's something else, definitely something else.
11 It had, actually, I think a flow, they could
12 handle a flow up to 700 GPMs, which is over a
13 million gallons, so --
- 14 A. I thought that was based on the problem on the
15 main line and where everything came in the main
16 line?
- 17 Q. No.
- 18 A. That was my understanding. That could be
19 incorrect. We have to get the people, the right
20 people.
- 21 Q. We have talked to them, yes, and there's other
22 waste water. I think what we're -- just to go
23 back to the particular concern, or not concern,
24 but just our evaluation of this issue is that at
25 times we saw, you know, that they're dumping

1 stuff down the sewers like naphtha that didn't
2 seem an appropriate method to deal with it if
3 there are other means to handle it, such as
4 putting it in a truck or dealing with it some
5 other way and recycling it back to the refinery
6 system via tank 63 or whatever. And I
7 understand that is built to accommodate that,
8 all those types of waste, but that's a better
9 way to do it.

10 A. There's alternatives for doing everything. That
11 for me, I love to debate those and try and
12 understand what is the best alternative, because
13 it may say this is the best one until you get
14 everything. Usually when you sit down and talk
15 you may come up with third one that's best of
16 all.

17 So I have no problem, I understand where
18 you guys are coming from and I also see that as
19 just being another alternative. We do utilize
20 that alternative, but we also use the
21 alternative of utilizing our sewer to transmit
22 that material down there because it still is a
23 safe and efficient way of getting it down there.

24 Q. We understand that, and then our corollary issue
25 with that is the issue of the sewer integrity.

1 A. We'll know that.

2 Q. Whether it's getting there or not is the other
3 problem we have. And then along with that was
4 the overflows if that material happened to be in
5 the sewer when an overflow occurred, and then
6 you would have to associate with the location of
7 this tank, you know, such as a naphtha or
8 whatever, and whether that sewer was implicated.
9 It may or may not be, but that was just the
10 thought we had on that, too.

11 MR. BERGER: We'll have to get that
12 information exactly at that manhole, whether
13 that overflow is happening, whether there was or
14 there is other flows coming into that line other
15 than the coker pond.

16 MR. KRIENS: We do have that
17 information. I don't know if it's necessarily
18 worth pursuing or not, but we wanted to bring
19 that up as a general practice, that we thought
20 there were alternatives, a better alternative.

21 THE WITNESS: There are
22 alternatives. Are they better? I guess that
23 would be the argument.

24 MR. BERGER: I don't have anything
25 else on that. Just one more item on the oily

- 1 water sewer, non-oily water sewer. This is a
2 waste water treatment plant daily log, Steve,
3 from 4/21 and 22 of '96. It's number 330.
4 Under the comments section it has these two
5 comments, it has the word caustic and then a
6 dash, tank 304 to B5. Poly dumping 500 gallons
7 per minute to NOWS. And then further down it
8 statements poly units done with tank dump, now
9 sending H2O from tank (indicating). Can you
10 give me an interpretation what you think is
11 going on there?
- 12 A. I'm not sure what it means. I don't understand
13 what the poly is dumping. It says poly unit
14 done with tank dump. I don't know. I see Todd
15 is in on this, and I don't know if you talked to
16 Todd and asked him what he might have meant.
- 17 Q. We have talked to Todd, and this is a report or
18 log that we recently noticed.
- 19 A. Sorry, I have no idea.
- 20 Q. Can I ask you what you think is going on? Well,
21 I can tell you what I think is going on.
- 22 A. Poly is doing something and they informed the
23 waste water treatment plant, but I don't
24 understand what the tank dumps. I'm not aware
25 of a tank poly.

1 Q. The first sentence is the one I'm most
2 interested in. It appears to me it's discussing
3 a tank dump, tank 304, directly to B5 through
4 the non-oily water system.

5 A. I don't know what tank 304 is. I don't know all
6 the tank numbers to be honest with you.

7 Q. In previous interviews the person I believe said
8 tank 304 was a caustic tank.

9 A. Tank 304 is a caustic tank?

10 MS. WIENS: He was someone that had
11 never worked in --

12 MR. BERGER: But it does fit with
13 the first word in the sentence here. That's all
14 I'm saying.

15 MS. WIENS: I understand, but I just
16 hate to use somebody that didn't know, but that
17 guessed that's what it was.

18 MS. HAYES: We should probably find
19 out for sure.

20 MR. KRIENS: When we break at 4:00
21 or whenever we could ask somebody to look it up.
22 It should be fairly easy to find I would think.

23 THE WITNESS: I can look up tank
24 304.

25 MR. BERGER: Okay. That's all I

1 have.

2 (At this time a short break was taken.)

3 BY MR. KRIENS:

4 Q. I wanted to ask you first, Steve, about your
5 experience in the process engineering area. Did
6 that include unit operations and that sort of
7 thing?

8 A. Some, the process engineering side of the
9 operation.

10 Q. What type of work did it involve or did that
11 include?

12 A. I'm not sure I understand your question.

13 Q. I guess what I want to ask about is we talked to
14 Tim Rusch yesterday about various units and
15 efficiencies, what the company's response is and
16 timing of response if a unit like a cracker or a
17 hydro treater or whatever it is becomes
18 inefficient, the efficiency drops significantly,
19 what the normal response of the company is to
20 take care of that issue. So that's the
21 question, if a unit becomes inefficient what's
22 the normal sequence that's followed?

23 A. Well, from the standpoint overall you have the
24 process engineer tries to go out and
25 troubleshoot what do they think the problem

1 might be. And as you know, you always try and
2 develop what the scenario is because it's all
3 cause and effect type things. So you try and
4 understand what the scenarios are and try to see
5 what you can do to change that scenario,
6 whatever that mechanism is to rectify it and put
7 it back where it was. How long that takes
8 depends on the situation, depends on what the
9 reference is to. Like you said, if it's a
10 problem in the FCC you may be able to speculate
11 but you may never know. The yield efficiency
12 changes. It may be a formulation or a catalyst
13 and you're just not going to know because you're
14 never going to get that information.

15 Q. If you had a efficiency drop of 50, 70 percent
16 in the FCC for example, would that be something
17 that would become alarming right away and you
18 would want to take care of that?

19 A. Yeah, from the standpoint of would it be
20 alarming, it would depend upon the specific
21 operation and if it was affecting or impacting
22 that particular unit greatly.

23 Q. That's what I mean, if it was, yes.

24 A. It was, sure, we would be looking at it. Your
25 reference I'm sure is going to the sour water

1 stripper and looking at that, but from that
2 standpoint there was a lot of eyes looking at
3 that. Why is this separation not producing the
4 quality of water on the downstream that it
5 normally did. What was happening. It just --
6 as he watched it, we were watching the impact,
7 we understood it, we were asking about it, we
8 still weren't coming up with a reason why that
9 was occurring.

10 Q. When you say you were asking about it, that was
11 who?

12 A. I specifically asked once or twice throughout
13 the fall. In fact, it was about the time we had
14 our first violation in many times over the
15 ammonia, we had the un-ionized ammonia and it
16 was like well, what's causing these blips.
17 Well, apparently we were having problems up in
18 the sour water stripper area. What is causing
19 it? Process engineering is looking at it,
20 process engineering is trying to understand what
21 it is that the problem was. They really didn't
22 understand the problem.

23 Q. When did process engineering begin to evaluate
24 that problem?

25 A. I don't know the date specifically. Sometime in

1 the summer of '96 is my understanding we first
2 began looking at it because we were seeing some
3 spikes.

4 Q. We had tried to understand that from Brian Roos
5 and didn't get a definitive answer at all about
6 when it began, so we're still trying to
7 understand when the company actually began
8 investigating it.

9 Does it seem reasonable to you that it
10 would take ten months or so to resolve a problem
11 of that nature when it was, you know,
12 considerably inefficient?

13 A. Some answers are much more obvious as you get
14 down the road than they are when you're in the
15 middle of the situation. All I can say is we
16 have some very well trained people, some very
17 good eyes trying to identify what the problem
18 was, and until we actually took one out of
19 service -- in fact, we had taken one out of
20 service, put it back into service on a
21 turnaround, one of the sour water strippers came
22 down and we did a quick turnaround on it, which
23 is normally all it gets, put it back in service
24 and we still end up with the problem. There was
25 still no diagnosis as to what the issue was. It

1 was like having a common cold, what caused the
2 cold. We don't know that.

3 Q. It was determined primarily scaling was the
4 issue, which is a very common problem in --

5 A. Not for these systems, it was not.

6 Q. In heat transfer situations.

7 A. In heat transfer situations I will agree with
8 you, that scaling and that is. We have not
9 historically seen scaling in our sour water
10 strippers. And that's why nobody looked to that
11 particular problem or that particular mechanism
12 as being a cause of the problem, because that
13 was not something we had seen in the past. We
14 had seen complexing due to pH, we had seen
15 organics potentially cause it, checked out all
16 that and that was not the issue, and nobody
17 dawned onto the fact it could have been a
18 scaling issue.

19 Q. Wouldn't scaling be a fairly common problem in
20 strippers in general?

21 A. It depends on the surface to which you're
22 stripping.

23 Q. Well, just talking in general, in a general
24 textbook perspective here. Scaling, would
25 scaling be a common problem with strippers?

1 A. Again, I would have to go back and look at the
2 constituents of the material that I'm stripping,
3 from that standpoint. I have what is called,
4 quite frankly, in the fluid cracking unit,
5 there's a unit out there called a fuel oil
6 stripper, and what it does is it strips gasoline
7 from the fuel oil stream so it moves it right
8 inside of it. Scaling is not a problem there.
9 So that's why I said I would have to go back and
10 look at the specific material that you're trying
11 to strip and understand what the composition is
12 and then determine would that be a problem or
13 not.

14 Q. I understand that, but I was just asking in
15 general wouldn't scaling be deemed a relatively
16 common problem that would cause inefficiency in
17 a stripper?

18 A. I don't know if I can answer the question any
19 better. It would depend on the constituents.
20 You could have scaling on the steam side just as
21 well. You're asking me to say should I have
22 known earlier that scaling was not the problem
23 here. I don't know. I was not the process
24 engineer on that particular stripper. I've been
25 a process engineer before on sour water

1 strippers, but I was not directly involved in
2 the process troubleshooting of these strippers
3 at this time.

4 Q. I understand that. I'm not talking about any
5 technical involvement you had with the
6 resolution of that. The question is really why
7 does it take ten months to resolve a problem
8 that is caused by a relatively minor issue,
9 scaling or hardness in this case?

10 A. And sometimes that is indeed the reason why. It
11 was a minor constituent that led to a problem.
12 One of the analogies sometimes people talk about
13 is the boiled frog syndrome. You throw a frog
14 in hot water and it will immediately jump out.
15 If you put that frog in a pan and turn up the
16 heat slowly that frog will boil, it will never
17 leave. You're sitting here scratching your
18 head.

19 Q. I could never follow those analogies.

20 A. Just think of what you get used to if you wear
21 scratchy clothes all day long, you would never
22 know it, but if you go from something nice and
23 soft to something scratchy you would notice it
24 right away. That was one of these issues, that
25 the scale formation it was occurring in the

1 reboiled area, it was occurring in the tray
2 area. We are actually getting that in the tray
3 area. In fact, I think I had mentioned to you
4 in one meeting we replaced in -- out of one of
5 the strippers I heard we replaced 30 out of the
6 40 trays because they were fouled with scale.
7 And it occurs over a very long period of time
8 and we never saw it coming.

9 Q. Right, although it must have been occurring for
10 a long time as well. I mean, it just didn't
11 accumulate to the point where it started, it
12 must have been occurring, it did occur for a
13 long time. I mean, it was occurring for ten
14 months or so.

15 A. Whatever period of time it was that we had those
16 particular high hardness streams in the
17 strippers is when it occurred. It was not a
18 cause and effect being able to be put in place
19 to understand that that was causing a problem at
20 the sour water strippers.

21 Q. Okay. I want to talk about the hydrant flushing
22 issue, which we discovered had been occurring
23 during our inspection in April. We initially
24 heard about this from some complainants that
25 indicated that it had occurred on one occasion.

1 A. You heard it first from us.

2 Q. We heard about it from you as well January 8 I
3 think when we were notified of that January 4
4 incident, and then we heard about it later as
5 well. That's why we went and did the
6 inspection.

7 During our view of all the documents we
8 found that there were, indeed, a number of
9 hydrants discharges to land areas. During an
10 inspection, however, at that time we only knew
11 of the one that you reported to us January 4,
12 that occurred January 4 of '97. When we were at
13 the inspection we asked -- I asked if other
14 discharges had occurred on land via the
15 hydrants, and the environmental staff's response
16 was they didn't know, that the safety department
17 takes care of that. So then we went to the area
18 where the January 4 release or discharge had
19 occurred to the wetland or runoff pond area and
20 asked that the safety people join us there so we
21 could find out how this was done. They did that
22 and we talked to Gary Ista and Chris Rapp at the
23 time, I think, who discussed how the hydrants
24 were used generally. We learned that normally
25 the hydrants are flushed in the fall for

1 winterization or in the case of safety events or
2 in the normal use of the hydrants in some
3 containment areas, that sort of thing, that it
4 would indeed be unusual --

5 A. Equipment cooling.

6 Q. Yes, equipment and that sort, and that a hydrant
7 release to there would be abnormal.

8 A. Hydrant release to where?

9 Q. A discharge on January 4th would have been an
10 unusual event.

11 A. Okay.

12 Q. And we learned from Heather also when I asked
13 her, and she stated that it was to get rid of
14 water. And the documents state that as well.
15 Then we did discuss it with you and staff in our
16 exit interview as well, and then we learned from
17 Gary Ista that, yes, there were some other ones,
18 he thought five altogether. So in our review of
19 the documents we found a number of these that we
20 have a concern with. I wanted to talk about
21 those specifically. We've talked to other staff
22 prior to you about a lot of this and received
23 varying answers as to why they were discharged.
24 Generally the answer has been that the water
25 levels in the fire water basins were too high

1 and in danger of overflowing the dikes and
2 that's why it was discharged. Upon further
3 questioning and all that we, of course, learned
4 that the water was high generally because of the
5 practice of stacking, because of the ammonia
6 difficulty at the waste water plant and so on.

7 When the did the environmental department
8 become aware of this whole issue, this practice
9 of discharging via the hydrant system?

10 A. We were first brought into the fray, and I don't
11 recall the exact date, and it was something I
12 wasn't aware of until recently that I could even
13 discuss because it was a discussion with
14 counsel. Back around November we were asked to
15 get an opinion on whether we could use fire
16 hydrants at any time and for the purpose of
17 discharge. I reviewed that with counsel, and I
18 guess from there it was my understanding at the
19 time I couldn't discuss that at all without
20 waving privilege. My understanding is now I can
21 tell you the event occurred.

22 Q. What event are you talking about?

23 A. That I had discussions with counsel in November,
24 essentially our attorneys in November to discuss
25 the issue, but I can't tell you the content of

1 that.

2 Q. So are you saying then that somebody came to you
3 to inquire about whether you could do that or
4 not, is that what you said?

5 A. Right, right.

6 Q. Who was that?

7 A. I don't recall who or how it came out, I can
8 still vividly recall the conversation and the
9 people involved in the conversation with the
10 attorney, but I don't know who first brought
11 that to my attention. I just remember the
12 conversation that we had after that. So I don't
13 know, it could have been any number of people.

14 Q. So what you're telling us now is that you met or
15 consulted with counsel in November of '96?

16 A. In November. My understanding at that time was
17 I couldn't say anything about that at all
18 without waiving privilege.

19 MR. VOYLES: At which time?

20 THE WITNESS: In November.

21 MR. VOYLES: You mean in April,
22 don't you?

23 THE WITNESS: In April, I'm sorry,
24 about the November conversation.

25 BY MR. KRIENS:

1 Q. That's what I'm not clear on.

2 A. So you had asked when we were aware of it, and
3 the problem I was put in -- this was in April
4 you asked when were we aware of it. The problem
5 I was put in at that time was I had
6 conversations with the attorney on this issue,
7 and it was my understanding that if I said
8 anything about that at all that waives
9 privilege, and that's not my call to waive
10 privilege. So I couldn't say when -- I couldn't
11 discuss that we had a conversation in November.

12 Q. To waive what privilege are you referring to?

13 A. Attorney-client privilege.

14 Q. Between your conversation and your attorney?

15 A. Right. If I even mention the conversation it
16 was my understanding at that time that could be
17 brought in, and that's not my call, that's
18 really another's call beyond me.

19 MS. HAYES: Is that the same thing,
20 though as -- I just want to be clear, is that
21 the same thing as when you're asked when your
22 awareness of this happened?

23 THE WITNESS: That was the same
24 time.

25 MS. HAYES: But, I mean, would it

1 technically be waving privilege to say that you
2 were aware of this in like November?

3 THE WITNESS: As I understand it
4 now, no. As I understood it in April that was
5 my understanding, that it would waive privilege
6 by saying that.

7 BY MR. KRIENS:

8 Q. So are you -- this is what I want to ask about
9 with respect to just that, on May 8, '97, we had
10 a meeting at the MPCA with yourself, Karen Hall,
11 Heather Faragher, myself and Mary Hayes and Russ
12 Felt. At that time we asked did safety ever
13 discuss the issue for acceptability of flushing,
14 spraying via the hydrants to land areas. Do you
15 recall what your response was then?

16 A. I don't recall the question and I don't recall
17 the response.

18 Q. That was the question, and the response was no,
19 it was not discussed prior to January 4, the
20 issue of spraying onto land.

21 A. If it was safety it may not have been. Again, I
22 don't recall who brought the question to us. I
23 remember the conversation with counsel.

24 Q. So are you saying then specifically because we
25 phrased it as safety, because that was our

1 understanding, that was the department that took
2 care of all this stuff, and now we understand
3 it's different than that. But that's why --

4 A. I'm not sure who brought the question. Again, I
5 tried to answer the question. Your reference
6 was directed toward safety department and I was
7 not aware who brought the question to me.

8 Q. When we were there in April then, that's how we
9 were told about the incident, you know, it was
10 with respect to January 4, we asked if there
11 were others and we were informed that we don't
12 know, the environmental department didn't know,
13 that safety took care of that. Is that part of
14 this attorney-client privilege or how does that
15 fit in with that?

16 MR. VOYLES: No, he can answer that.

17 THE WITNESS: I don't know what the
18 question was when you say -- safety does handle
19 essentially the fire water ponds and the
20 hydrants, so it depends on how -- I don't
21 understand your question.

22 BY MR. KRIENS:

23 Q. Why would we be given an answer that states we
24 don't know?

25 MR. VOYLES: In November when

1 someone, you don't remember who, asked you about
2 this, were you aware that it occurred?

3 THE WITNESS: Not at that time.
4 That was a question that was being asked, could
5 we or couldn't we. I don't recall whether it
6 occurred or not because I don't remember the
7 date on which we discussed things.

8 BY MR. KRIENS:

9 Q. Let me go back. In April I asked, and when we
10 were by the north fire water pond, if there were
11 other incidents of hydrants flushing to ground
12 areas other than January 4, and indeed there
13 were after that January 4 and there were several
14 before. That was my question. And the answer I
15 received was we don't know.

16 A. Just left as that?

17 Q. We don't know, safety takes care of that, that
18 was the answer.

19 A. So in other words, we should go back and talk to
20 safety and get the real answer.

21 Q. Yeah, that's what the implication was. And I'm
22 wondering --

23 A. Did we follow that up?

24 Q. Did you know at that time if there were other
25 ones and why we were given the we don't know

- 1 answer.
- 2 A. I don't know what occurred then because I don't
- 3 know exactly the question.
- 4 Q. The question is did you know of these previous
- 5 ones?
- 6 A. Prior to the January one?
- 7 Q. Right.
- 8 A. I don't recall. Again, I don't recall whether
- 9 any incident had occurred in November. I recall
- 10 asking the question is this something we can do.
- 11 Q. So you don't know if previous or ones after that
- 12 occurred, you didn't know about the February
- 13 ones either, is that right?
- 14 A. I didn't say that.
- 15 Q. Well, that was the question we asked then. We
- 16 asked the question were there other incidents of
- 17 hydrant flushing or discharge to land areas
- 18 other than January 4, and the answer we
- 19 received, again, was from the environmental
- 20 department, we don't know, safety takes care of
- 21 that. So that was the answer we received.
- 22 A. Then there was obviously a -- it was
- 23 misinformation or whatever. The implication
- 24 there was let's get safety involved and have
- 25 them tell us exactly what's happened. I don't

1 watch those fire hydrants daily, my staff
2 doesn't watch those fire hydrants daily, the
3 safety department does and they understand what
4 goes on with them all the time.

5 Q. So are you saying that the environmental -- you
6 mentioned that somebody came to you in November,
7 so that implies to me that the issue at least
8 came up.

9 A. The issue was discussed, I can say that.

10 MR. VOYLES: Did you know that it
11 had actually been released at that point?

12 THE WITNESS: Not at that point.

13 BY MR. KRIENS:

14 Q. So when we asked the question in, going back to
15 April, we did ask the question were there other
16 incidents of flushing hydrants to ground other
17 than January 4, and did you know then that there
18 were or weren't.

19 A. You asked the question, you want a specific
20 list. I could not give you a list, the best
21 thing I could give you was a person that would
22 know exactly when and where, and that would be
23 the safety department.

24 Q. Well, the answer was we don't know. That was
25 the answer.

1 A. Well, I don't have any information on that to
2 say that. If you understood that's what I said
3 then you misunderstood. Again, what I want to
4 do is get safety involved and let them say who
5 when and where. In fact, that's when we said
6 let's have the conversation in here, let's have
7 everybody, we'll get the right people in to talk
8 about those things. It's hard to talk when
9 you're out at an area that's -- you've got all
10 kinds of people and all kind of distractions
11 going on. That's why we wanted to talk about it
12 in a room, make sure we had all the right people
13 so when you ask the answer here it is, here's
14 the answer. I apologize if you misunderstood
15 that.

16 Q. I didn't misunderstand it, is that --

17 MS. WIENS: Was that list put
18 together that day, that list that Gary sent, the
19 same day, the list with all the dates?

20 BY MR. KRIENS:

21 Q. Right. I didn't misunderstand the answer, I'm
22 just restating the answer. We don't know,
23 safety takes care of that, that was the answer.
24 So I didn't misunderstand it.

25 A. If I took your question -- well, I misunderstood

1 your answer, because you're asking for any and
2 all specific dates, and there's no way I'm going
3 to know every specific date.

4 Q. No, that wasn't asking for specific dates, that
5 was not the question.

6 A. But that's what I understood you would want, a
7 complete answer, not a partial one. I want to
8 get you the best answer I can get. The safety
9 department would have been that right source.

10 Q. Right. I just want to reiterate it, though.
11 That was not asking for specific dates, we were
12 asking if there were any other incidents of
13 hydrant flushing to land other than January 4,
14 and the answer was we don't know, safety takes
15 care of that. So it wasn't asking for anything
16 specific, it was asking if this was done. That
17 was the answer, I didn't misunderstand it.

18 A. Then I misunderstood your question at the time
19 or I wanted to answer it too completely. Again,
20 safety department would have those dates as to
21 when anything was done with those.

22 Q. Did you know -- were you aware of hydrant
23 releases in February?

24 A. Yes, but not the dates.

25 Q. So when we were investigating that you did know

1 of the ones in February?

2 A. But not the dates.

3 Q. But not the dates, right, but there were others
4 that occurred other than in January?

5 A. Yes.

6 Q. We met with Ruth Estes who discussed her
7 recollection of a meeting that was held with
8 Ruth, Heather Faragher, yourself and Brian Roos,
9 and she initially thought that was sometime in
10 the winter of '96-97, and later she believed it
11 was in November of '96. Specifically it was
12 related to this hydrant release January 3 and
13 January 4 of 1996.

14 MS. WIENS: January 3 and 4 of '96?

15 BY MR. KRIENS:

16 Q. I'm sorry, I meant November 3 and 4 of '96. Do
17 you recall that meeting.

18 A. No, I don't.

19 Q. Okay. She told us that during that specific
20 meeting the discussion included an evaluation of
21 whether it was better to discharge on land
22 versus violating the permit limit. Apparently
23 the permit daily maximum, she thought was the
24 daily maximum, was in jeopardy of being
25 violated, and the discussion therefore

1 surrounded this issue of that impending
2 violation and whether this should be released to
3 land. And as I recall from that she didn't
4 remember what the exact resolution was. Do you
5 remember any discussion of that?

6 A. I don't recall the meeting between the four of
7 us.

8 Q. She thought it occurred in November and you and
9 Heather and Brian Roos were involved.

10 A. It may have occurred, but I don't recall it.

11 Q. Okay. Are you aware of the hydrant discharges
12 during November 3 and 4?

13 A. I am now.

14 Q. Do you know about the scheduled Bioassay test on
15 November 4?

16 A. I know sometime in November we always schedule a
17 Bioassay test, yes.

18 Q. I'll go through sort of the chronology that I
19 had before and I'll try and do it real quickly
20 on that.

21 September 21 -- that's the wrong one. On
22 October 24 of '96 Heather wrote a memo to
23 various staff that notifies that the Bioassay
24 would be conducted beginning November 4 of 1996.
25 This is it (indicating). Then we evaluated some

1 waste water treat plant operating logs, and I'll
2 just kind of briefly summarize those. November
3 2 a log states that the flow from the S7 sump
4 was cut back to less than three units backing
5 water into B5. Then on November 3 an operating
6 log states that special analytical samples were
7 taken for TSS in ammonia and the results were
8 110 parts per million and 72 for TSS. Then the
9 log states a copy of Heather's letter was
10 dropped off to the shifties informing them of
11 the toxicity sampling that would begin Monday
12 November 4. Also it states the river flow again
13 was cut back -- the flow to the river was cut
14 back to 1.7 units backing up into B5 again.

15 Then on November 3 another memorandum
16 from Dave Gardner with special results, and then
17 a notation to limit flow to river to 2 units,
18 and he states I hope those moves prove
19 sufficient in light of tomorrow's annual
20 toxicity testing. Then a November 3 operating
21 log states that safety to open three hydrants in
22 west tank farm on ground to help get rid of
23 water, and water then was opened up during the
24 evening, this was a log that began at 7:00 p.m.,
25 discharging water onto the ground via that to

1 the west tank farm.

2 We didn't have a notation of that in the
3 information you provided us that day, but this
4 was found via the operating log. And there is a
5 notation in a safety log of November 4 that
6 states flowing water in west tank farm west side
7 of I Street. So this began sometime during the
8 night, 7:00 p.m. going to 7:00 a.m. or
9 thereabouts. At the same time that this was
10 occurring the waste water plant was receiving a
11 very high load of ammonia influent to the
12 system. In fact, it is the second highest
13 ammonia load behind one on December 22 during
14 this year and a half period that Barr
15 Engineering conducted their evaluation of the
16 treatment efficiency for removal of ammonia.

17 So our concern here is that a Bioassay
18 was beginning Monday morning, November 4, that
19 day in the same period of time ammonia loads
20 was -- very high ammonia loads was going to the
21 waste water plant, and then the hydrants were
22 discharged during the nighttime. We were
23 wondering what that's all about. Do you have
24 any comment on that whole scenario?

25 A. I'm not aware that those would necessarily be

1 connected. The Bioassay looks at concentrations
2 and you're asking about flow. I'm not sure
3 there's a direct connection there.
4 Especially -- I mean, the other thing is we've
5 got three days residence time in our polishing
6 ponds.

7 Q. Well, that's the first thing that came to my
8 mind as well. I wondered why would you do that,
9 you know, and we didn't get an answer from Ruth
10 Estes. The answer that we got in connection
11 with this incident was that it was -- she didn't
12 answer it this way, but she thought this
13 particular one had to do with the meeting that
14 was held, that it was done in order to avoid an
15 exceedance on the discharge.

16 MS. WIENS: Steve wasn't there, but
17 I was, and I don't remember that answer. I
18 remember a different answer. We can go back and
19 look and see what she said, but I don't remember
20 that being her answer at all.

21 BY MR. KRIENS:

22 Q. Well, I'm just kind of going -- we talked about
23 November and she thought the meeting discussing
24 the issue of whether they should discharge via
25 hydrants versus an exceedance of the permit

1 limit, she thought it occurred during that time
2 frame.

3 MS. HAYES: We're talking about
4 which would be environmentally beneficial.

5 MS. WIENS: I remember her talking
6 about the conversation being around this time.
7 I remember her saying that the ponds were high
8 and they were going to overflow, and so that's
9 why she discharged. That's what I remember how
10 she responded to that question. That's a
11 different question than when did the
12 conversations take place, I understand that she
13 said she had conversations around that time
14 frame.

15 THE WITNESS: Again, it may be
16 coincidental, but from a standpoint of
17 connection, the Bioassay was done on
18 concentration of the pollutants, not -- and
19 really that's the issue, whereas management of
20 the fire water ponds and management of the water
21 system is really the flow side of that. So I'm
22 not sure there's any direct connection other
23 than coincidence at that point.

24 BY MR. KRIENS:

25 Q. Is it possible, however, given that, that in

1 consideration of the fact that the S7 sump on
2 November 3 indicates an ammonia concentration of
3 110 milligrams per liter, which is quite high,
4 that the polishing pond may have had
5 concentration much lower than that prior to
6 that?

7 A. Without having that data I don't know.

8 Q. Well, I think maybe we need to get into that and
9 find that out. And that by deferring or backing
10 it up into B5 you avoided introduction of higher
11 concentration of ammonia water into the
12 polishing pond system.

13 MS. HAYES: And in particular
14 there's the memo from Dave Gardner on 11/3 that
15 says you're limiting the flow to the river to 2
16 units and the quote is I hope these moves prove
17 sufficient in light of tomorrow's annual
18 toxicity testing. You know, we have to ask the
19 question when you see that.

20 THE WITNESS: I'll also ask the
21 question from the standpoint is there a specific
22 date of which we're supposed to operate a
23 Bioassay or run the Bioassay?

24 BY MR. KRIENS:

25 Q. The date was scheduled for November 4.

- 1 A. Well, I had one scheduled, but --
- 2 Q. I know, and it was actually delayed another week
- 3 and we're curious why it was delayed.
- 4 A. Well, my question would be first of all is there
- 5 a specific time flows should be run?
- 6 Q. No, there's no specific time.
- 7 A. I don't know why it was delayed. It was
- 8 delayed, obviously there were reasons for it to
- 9 be delayed. I would assume there would be very
- 10 good reasons for it to be delayed.
- 11 Q. There is no specific time, but typically the way
- 12 this operates is we go upon trust that a company
- 13 will take it at a representative time and won't
- 14 try to taylor that time to suit the operational
- 15 situation at hand. You know, like sampling, we
- 16 want a sample either to get a representative
- 17 sample versus one that's not representative. So
- 18 if this is representative of the discharge we
- 19 would like to find out what's going on at that
- 20 time rather than waiting for a period of time
- 21 which it may be better. I don't know if it was,
- 22 but that's what the whole intent of that is. I
- 23 see on this actual sheet --
- 24 MR. ESPEL: There's a long
- 25 discussion that follows on that as to what is

1 the point of toxicity testing and what you do if
2 have a hit. You usually try and figure out why
3 and get rid of it, so what's representative is a
4 logical follow-up. That's a good round table
5 and lawyers and everything else, there's a lot
6 of discussion that could occur on that point.

7 BY MR. KRIENS:

8 Q. Yeah. This was marked out on our sheet
9 (indicating), but we have another --

10 A. On the sheet you received?

11 Q. On the sheet we received, yeah. But I think
12 it's probably from a marker that just copied it
13 and blacked it out because it was highlighted,
14 and sometimes they do that when you would send
15 it to us. But here's the north polishing pond
16 and the south polishing pond and here's S7. I
17 believe this is ammonia here, I'm not sure
18 though. This might explain something, I don't
19 know. That's at a hundred and these are much
20 lower concentrations (indicating). That's
21 something we would like to find out, determine
22 why that was done, why the water was released
23 during the nighttime before the Bioassay test.

24 A. I don't have any information for you as to why
25 it was done. Again, from a coincidence

1 standpoint flow versus concentration, we have
2 had concentrations lower than that that have
3 failed, we've had concentrations higher than
4 that that's passed, so I'm not sure there's a
5 direct correlation there.

6 MS. WIENS: We have talked to most
7 of the people that were involved in that
8 November, and I think particularly Ruth, and I
9 think she answered all your questions about why
10 she did it and who she talked to about doing it.

11 MR. KRIENS: Well, I want to ask
12 Steve about it, too. He's the head of the
13 environmental department.

14 MS. WIENS: Right, I understand, but
15 the implication is that you haven't talked to
16 people. Everyone that was there you've been
17 able to talk to about discussions and when and
18 why.

19 MR. KRIENS: Yeah, I mean, we've
20 talked to a lot of people about it certainly. I
21 mean, it's the process that we're going through.

22 THE WITNESS: As you know, you talk
23 about the representative standpoint, you guys do
24 kind of come in on an annual basis, do toxicity
25 and Bioassays yourselves, just call us and come

1 on in and we set it up.

2 BY MR. KRIENS:

3 Q. All right. Here's the clear one, here's the S7
4 ammonia, which is 100 parts per million
5 (indicating). The level that's in the polishing
6 ponds were 31 and 18 parts per million, which
7 were much lower. So if you're talking about a
8 concentration basis in that case it would
9 definitely affect the polishing pond and the
10 Bioassay test if this water was allowed to go on
11 into the polishing ponds, it would have
12 concentrated the ammonia more certainly. So by
13 diverting it back to the fire water system and
14 discharging it onto land it definitely in my
15 mind --

16 A. What was the amount diverted?

17 Q. We don't have that information. We would like
18 to find out. Now, diverted is actually -- you
19 could probably --

20 A. The Bioassay takes how long? Four days?

21 Q. Yeah. Well, the testing, yeah, is sampled over
22 that period.

23 A. It's sampled over a four day period?

24 Q. Beginning on the first day.

25 A. And we would have to somehow -- what you're

1 suggesting is we would have to essentially
2 discharge what, 3,000 gallons per minute all the
3 time?

4 Q. Well, here's what went on, and I need to finish
5 this because you've brought up this issue about
6 how much was released. Normally you discharge,
7 three and a half million a day approximately.
8 We didn't go way back, but beginning on
9 November 2 the flow was cut to less than three
10 units, which is roughly 1.6 million gallons.
11 About 2 million gallons less than the normal
12 flow. Then on November 3 cut the flow to 1.7
13 units, which is about a million gallons or about
14 two and a half millions gallons less. So if you
15 look at that and look at the concentration
16 levels, S7 at 100 and 110 in this memo, and the
17 polishing ponds at 31 and 18, diverting that
18 water definitely had an impact on the
19 concentration levels in the polishing ponds
20 because they would have been higher had you not
21 diverted that.

22 MR. ESPEL: Exactly what you're
23 doing now is sort of after the fact
24 reconstruction of some data. I think it would
25 be fair to ask Steve if he had any of these

1 thoughts in mind or if there was any intentional
2 connection of --

3 MR. KRIENS: I was. I was, but
4 Steve brought up this -- brought up the point
5 why would they do that because it's a
6 concentration based test. And indeed it is, but
7 this would show that it would impact the
8 concentration.

9 THE WITNESS: This was not something
10 I evaluated or looked at.

11 BY MR. KRIENS:

12 Q. Okay, but I was just responding to your
13 question, that indeed that would have affected
14 the concentration base.

15 A. I was thinking about the four day time frame and
16 we were stacking water all the way along. I
17 don't think there was a lot of freeboard to
18 start with, so it couldn't have been stacked for
19 very long.

20 Q. Well, no, but during the day of November 3 and
21 the day before the test, and the day before
22 that, November 2, you backed up water. It
23 didn't go to the pond. It had high
24 concentrations of ammonia, so it did affect the
25 polishing pond concentrations. They would have

1 increased had they went there.

2 MR. ESPEL: Don, in terms of your
3 question, I wasn't sure, but when you say backed
4 up, I'm not sure if that stops the flow or --

5 THE WITNESS: No, it doesn't stop
6 the flow.

7 MR. ESPEL: So I'm not sure that
8 none of this water --

9 MR. KRIENS: It does. When they say
10 cut flow they mean the stop flow from S7. Cut
11 flow from S7 to less than three units. S7 is
12 the waste water sump that pumps over to the
13 polishing pond. So when they say cut flow, we
14 determined this before, that means the only
15 place it can go, because otherwise it can't back
16 up into the refinery, the only place it goes is
17 to B5.

18 MR. ESPEL: But does cut flow mean
19 stop or reduce?

20 MR. KRIENS: It means reduce flow
21 from the S7. The flow into the refinery --

22 MR. ESPEL: Reduce what is going to
23 go through, that's what I was thinking.

24 BY MR. KRIENS:

25 Q. Right. The flow into the refinery -- into the

1 waste water plant remains fairly constant,
2 roughly three and a half or whatever, and then
3 the flow out, when they say cut flow from S7,
4 that means they cut the flow from S7 which goes
5 to the polishing pond. When that's done then
6 it's backed up to the north fire water pond or
7 B5. So in this case it did have an impact on
8 the concentration base levels in the polishing
9 ponds because if it would have went there it
10 would have increased the concentration of
11 ammonia in the pond, which definitely would have
12 impacted the test because it's a test that is
13 sensitive to ammonia in terms of the species
14 particularly.

15 So that was kind of an answer to your
16 response to my question how that could be a
17 concentration issue. In fact, it was the way I
18 read it. Just to follow up, when they say
19 safety to open three hydrants on west tank farm
20 on ground to help get rid of water what that
21 means and who would be making a decision to do
22 that?

23 A. No, I don't. It's just a note in the log. It
24 says safety is doing that. I mean, obviously
25 there was a decision made, but I don't know what

1 constitutes all the information into how that
2 decision gets made.

3 Q. In this case we found out that Ruth Estes was
4 the shift supervisor on duty that weekend and
5 apparently ordered the release and discharge.
6 We talked to her about it, and again, I don't
7 recall exactly what she said in response, but I
8 think she said it was due to the high levels or
9 something like that.

10 A. She was probably watching freeboard I would
11 speculate on that.

12 Q. Right. Is there a change of command then that
13 you know of through the operations division or
14 department that she would have to discuss that
15 with, or does she just take that on her own
16 volition?

17 A. As a shift supervisor she is charged with the
18 responsibility to watch a lot of those items.
19 They're given a lot of authority and a lot of
20 opportunity to make sure things run right.

21 Q. Do you know why they would drop off a copy of
22 Heather's letter to the shifties advising them
23 of the toxicity sampling and testing that would
24 begin on November 4?

25 A. Other than typical procedure, we try to keep

1 everybody informed of what's going on when we've
2 got special testing. I mean, something is
3 coming up we would let people know. If we're
4 going to do stack testing and that, guys, do
5 some stack testing. What we'll find out is
6 people go out and either run a test run on our
7 unit or suddenly change operations all over the
8 map to make a different product in the middle of
9 a stack test run, when we've had air emissions,
10 you know, it was like, you know, we can't do
11 that. You know, keep things steady, normal
12 operation. That's what we want and that's
13 really what the intent of the letter is, steady
14 stated normal operation.

15 Q. I want to go back briefly so that I get this
16 right. Ruth mentioned there was a meeting, she
17 thought it was in November sometime, where it
18 was discussed that the company should discharge
19 through the hydrant on land versus exceeding the
20 permit limit. You don't recall that meeting?

21 A. I don't recall that particular meeting at all.
22 Again, the first time that came -- I can recall
23 in my mind was literally on a telephone
24 conversation that occurred with counsel. That's
25 vivid in my mind.

- 1 Q. Are you aware in the consent decree there's
2 damages or penalties, monitor penalties for
3 those exceedances which would include the
4 Bioassays test after a period of time?
- 5 A. Yes, I am.
- 6 Q. All right. Let me talk about the February one.
7 On February 25, 26 and 27 there was a release of
8 waste water via the hydrant system. And we
9 obtained that information from the safety logs,
10 and I think it was around a little over a
11 million gallons discharged according to those
12 logs. And also I want to point out that it's
13 our understanding from discussions with your
14 staff that these are not necessarily inclusive
15 of all these hydrants releases necessarily
16 because records weren't kept for all of these.
17 We found that to be the case because we found
18 instances of the release or discharge from
19 operating logs that weren't in the safety logs.
- 20 A. I would have assumed that the safety log would
21 have been complete. But if you saying that it's
22 not --
- 23 Q. It's not. On those dates do you know anything
24 about those? This would have been after the
25 January 4 one when I assume you had discussions

- 1 concerning discharges.
- 2 A. We had had discussions whether that was an
3 allowable practice or not. Again those
4 discussions were part of -- stop me if I get too
5 far, Counsel, but that was part of previous
6 conversations with counsel to make the
7 determination, utilize your legal folks to
8 understand where the line is and how close you
9 could get to the line. We understood that was
10 an acceptable practice, that was discussed and
11 it was used. Again, we watched that very
12 closely to make sure we would not violate a
13 reportable quantity for ammonia and for the
14 other things that would have reportable
15 quantities associated with it.
- 16 Q. So are you saying then that these were released
17 or discharged from the hydrants in order to
18 avoid the violation of ammonia limit?
- 19 A. No, I'm not saying that.
- 20 Q. Are you aware during that month that the monthly
21 average loading was very close to the permitted
22 limit?
- 23 A. Yes, it was close. Yes, I'm aware of that.
- 24 Q. Has the company calculated to determine if they
25 would have discharged these and perhaps even

1 ones before that may have affected that to see
2 if the limit would have been exceeded?

3 A. I don't recall if there was a calculation on
4 those lines or not for those. I don't recall
5 that.

6 BY MS. HAYES:

7 Q. Are you saying that it's just a coincidence that
8 you discharged from the hydrants? I mean, it's
9 coincidental to the fact you were close to your
10 limit?

11 A. This was definitely a water management area.
12 Freeboard was a problem, stacking was a problem
13 because of the problems we had in the waste
14 water treatment plant. I'll make no bones about
15 that. I mean, the facts and day, you watch it.

16 Q. Isn't it kind of the same thing as saying, you
17 know, that you aren't putting it across the --
18 across the street to the designated outflow
19 because the levels are so high that you are
20 concerned about that?

21 A. We're always concerned about permit limits. I
22 mean, that is indeed what we're trying to do
23 here, to make sure we remain in compliance.
24 You've got a situation here that you say gee, if
25 I do nothing else but sit back there with my

1 arms folded and my feet up and say sure, go
2 ahead and go to the river we're going to have a
3 violation. What we were trying to determine was
4 what was the best solution that kept us in
5 compliance. We looked upon that as a way of
6 remaining in compliance. I'm not just talking
7 about in compliance of permit limits, but in
8 compliance with the environmental issues that we
9 are charged with watching.

10 BY MR. KRIENS:

11 Q. So you're saying it was a water management
12 issue?

13 A. Right. That's why we watch the RQ side of that.

14 Q. I want to talk about the RQ and environmental
15 compliance. When you say it was stacked and it
16 was a freeboard issue, so what was the problem
17 then? Why was it a freeboard issue at that
18 time?

19 A. The water levels were high.

20 Q. From what?

21 A. Obviously from the operating problems in the
22 plant.

23 MR. VOYLES: Were there any other
24 events in February to cause water to be high?

25 THE WITNESS: Some rainstorms in the

1 middle of January plus snow melt that had
2 occurred at the same time. If you go back and
3 look we had -- they weren't in the magnitude, I
4 don't think, of the ones we had in June of
5 10 inches, but they were very significant. We
6 also had a very warm January where we had a
7 sudden snow melt, that's why we got rain instead
8 of probably a gazillion inches of snow.

9 BY MR. KRIENS:

10 Q. Are you aware of the fact, though, that during
11 that month the water was -- the flow was cut
12 from S7 very often? In other words flow was cut
13 from discharging to the river and was backed up?

14 A. We were actively trying to manage to stay within
15 our permit constraints. The last thing I wanted
16 to do was see a permit down at the waste water
17 treatment plant, have that blown or any other
18 compliance events occur. That means reportable
19 quantities, because they were going to report
20 them all. If they occur we report them.

21 Q. Did you report these down here before that?

22 A. If we would have been over reportable quantity
23 we would have reported those.

24 Q. Were these analyzed to determine if they were
25 reportable?

- 1 A. The one in January I'm sure was not.
- 2 Q. How about the one in June of '96, November 16,
3 17, were those evaluated to determine --
- 4 A. They were probably not evaluated. Don't know if
5 we had looked totally at that situation at the
6 time, but with the ammonia level being low I
7 don't think it would have been a problem anyhow.
- 8 Q. Were any other constituents analyzed in that
9 waste water?
- 10 A. We looked at the reportable quantities for
11 ammonia, phenol, chrome six and mercury.
- 12 Q. Any other constituents?
- 13 A. At that point, no.
- 14 Q. We talked earlier about the continuous --
- 15 A. Not that I recall.
- 16 Q. -- very frequent oil overflows of the oily water
17 sewer to the clean water sewer which goes to B5.
- 18 A. Which was explained to you already.
- 19 Q. Right. But often there were other contaminants
20 in there. And this water comprised of source,
21 at least initial source or the very source in
22 fact, of these hydrants releases?
- 23 A. Again, did we recognize those as being
24 contaminants? No, we did not.
- 25 Q. So these hydrant discharges weren't analyzed for

1 any constituents then?

2 A. No.

3 Q. When you go back to determine a reportable
4 quantity or anything else, the February 25, 26
5 and 27 hydrant discharges were analyzed, is that
6 correct?

7 A. We analyzed?

8 Q. For the parameters you discussed.

9 A. We knew the amount of the parameters and we had
10 guidelines of which to then make sure that if
11 there were uses of the fire hydrant system for
12 the flushing that we would not exceed the
13 reportable quantities. Again, it was our belief
14 at the time the fire water system was ours to
15 use however we wanted to use.

16 Q. Were there any other overflows prior to February
17 25, 26 and 27? I guess we discussed those,
18 there were a lot of overflows that went into
19 that pond. Did the company view this as a
20 preferable environmental option, to discharge
21 and violating a limit, or what was the basic
22 reasoning behind that?

23 A. The basic was to remain in compliance. The
24 basic intent here is to remain in compliance
25 with all environmental requirements, not just

1 one, not just a concern, not a permit limit,
2 we've got statutory requirements, we have a lot
3 of things we try to remain in compliance across
4 the board. I don't know how to state that any
5 clearer. That's the reason the RQ issue came
6 up, because we wanted to remain in compliance.

7 I mean, again, we felt the fire hydrant
8 system was ours, it was ours to do with, the
9 water -- it had all been permitted in part. It
10 was not an issue that we were doing anything
11 else wrong because the fire hydrant system was
12 ours as we understood it. Therefore our thought
13 process is well, it's ours up to a point, don't
14 exceed the reportable quantities because at that
15 point then it has the potential for
16 environmental harm, which the federal regs
17 recognize.

18 Q. Environmental harm with respect to what?

19 A. How else would the -- the reportable quantities
20 are in there because it has the potential.

21 Q. For harming what media? Where?

22 A. I didn't read the preamble on reportable
23 quantities.

24 Q. My understanding of reportable quantities in
25 that situation relates to waters. Isn't that

1 the basis of that?

2 A. I'm not sure that is. The reportable quantities
3 are there, and the reason they are there is EPA
4 believes that that has the potential to do harm.
5 So we wanted to remain below those so we could
6 assure ourselves we're not going to do any harm
7 to the environment.

8 Q. Did you evaluate any other contaminants in this
9 other than the ammonia and the chromium and so
10 on?

11 A. No, not that I recall.

12 Q. And did anybody else -- you know, who would be
13 involved with that analysis to determine whether
14 that was a suitable environmental option?

15 MR. ESPEL: Other than counsel?

16 THE WITNESS: I was going to say,
17 counsel is who --

18 BY MR. KRIENS:

19 Q. I'm talking about technical people to determine
20 if that was a good option or not technically.

21 A. Well, because of the involvement with counsel
22 across the board to try and understand this, I
23 don't know how much further I can go.

24 MR. VOYLES: Tell him who was
25 involved in the policy decisions other me and

1 Larry?

2 BY MR. KRIENS:

3 Q. I don't need to know the people, but did
4 technical staff have a --

5 A. Yes, we were part of that, technical and
6 environmental staff were part of that.

7 Q. What was done with respect to determining
8 whether that was a good approach evaluating
9 that?

10 MR. ESPEL: I have to limit -- I
11 mean, other than counseling with lawyers. The
12 discussions that happened with lawyers I have to
13 rule out of bounds.

14 BY MR. KRIENS:

15 Q. That's fine. Was there any technical evaluation
16 to determine if that was a good environmental
17 option on any of these occasions?

18 A. It was done at the -- we did a lot of things at
19 the request to try and understand that, but it
20 was all done with counseling.

21 Q. So you can't share any of those technical
22 evaluations to determine if that was a good
23 option?

24 A. Help me out here because I don't want to cross
25 over a line.

1 MR. ESPEL: I'm not sure -- I want
2 to be able to provide information, but I'm not
3 sure there are a lot of other facts that there
4 are to talk about other than what's already been
5 discussed.

6 BY MR. KRIENS:

7 Q. Let me throw out a couple. I wanted to finish
8 that because it appears to us that the water was
9 discharged because the limit was in jeopardy of
10 being exceeded. It was very close to the top.
11 The water was -- irregardless of whether it was
12 a decision that was made specifically, the water
13 was stacked, backed up because of the problems
14 there. So if it was released, went out the
15 hydrants instead of going to the discharge, it
16 would have impacted the loading to the river and
17 the limits would have been affected, your
18 calculated monthly average would have been
19 affected. So that's our issue with that.

20 The other issue is really the
21 environmental appropriateness of discharging
22 waste water that could be composed of other
23 contaminants because of very frequent overflow
24 of processed waste water into that system. And
25 so you're not just looking for ammonia as a

- 1 reportable quantity issue, you're looking for
2 problems with these other contaminants.
3 Disposal of waste water on land in the
4 wintertime is just not a good environmental
5 option because you get virtually almost no
6 treatment. Did you look into that, that type of
7 evaluation?
- 8 A. Other than the four constituents we talked
9 about, that's what I recall doing.
- 10 Q. So you looked into the ammonia treatment
11 alternative, and what did you find with that at
12 that time?
- 13 A. Again, guidelines were established based on the
14 concentration of the ammonia in the water so as
15 not to exceed the reportable quantity.
- 16 Q. I'm not talking about reportable quantities.
17 I'm talking about --
- 18 A. But that was our basis, our reasoning.
- 19 Q. Did you look at the ability of ammonia to
20 nitrify in soils in the wintertime or the
21 possibility of traveling down through the soil
22 because of the lack of nitrification?
- 23 A. Well, the RQs were established for either air or
24 water, it's not specific, and from the
25 standpoint of nitrification --

- 1 Q. That's not the question.
- 2 A. If we're talking about frost lines being in
3 place, the frost line is already down four to
4 five feet, so --
- 5 Q. I'm not talking about that, I'm talking about
6 the ability of bacteria to nitrify during that
7 time of year.
- 8 A. No, we did not evaluate it nor would I think the
9 water would percolate down when the frost line
10 was in place.
- 11 Q. The frost line wasn't in place.
- 12 A. In January?
- 13 Q. Not this past year. The soil, in fact, wasn't
14 frozen during this period of time.
- 15 A. I might argue that.
- 16 Q. I can tell you definitively that's not the case.
- 17 A. You're saying there was no frost line in
18 Minnesota this last winter?
- 19 Q. Yeah. So there wasn't a complete analysis of
20 the waste water, but you did analyze the
21 components for possible RQ exceedance?
- 22 A. Correct.
- 23 Q. You did look at the environmental suitability,
24 is that right, but not the nitrification aspect?
- 25 A. Correct.

- 1 Q. And whether ammonia would be treated in the soil
2 and removed?
- 3 A. Our basis was the reportable quantity. Anything
4 less than that would not constitute a problem.
- 5 Q. Was the site evaluated with respect to slope,
6 runoff problems, that sort of things?
- 7 A. Not at all. In fact, we were under the
8 impression it was being done in a different
9 area.
- 10 Q. That I'm not following.
- 11 A. The area that was being -- the area of the
12 discharge was more around where the west storm
13 pond was.
- 14 Q. The west tank farm?
- 15 A. And the west tank farm.
- 16 Q. And that was where it took place?
- 17 A. My understanding is it did not. And I don't
18 know the date of which one discharge occurred
19 around that tank, the 133 area, into the runoff
20 pond.
- 21 Q. That was the January one. I'm talking about
22 February.
- 23 MS. WIENS: You think he's still
24 talking about February?
- 25 THE WITNESS: I'm sorry. Okay.

1 BY MR. KRIENS:

2 Q. I think February was the west tank farm.

3 A. We did not evaluate locations, no.

4 Q. Or sites, slopes, runoff?

5 A. No.

6 Q. Soil types, was anything like that evaluated?

7 A. No.

8 MR. KRIENS: Let's take a break.

9 (At this time a short break was taken.)

10 BY MR. KRIENS:

11 Q. Steve, I wanted to refer back to this November
12 3, '96 operating log that Koch submitted to us
13 in the documents. It's document 00825. Why
14 were those actually blacked out so we couldn't
15 read really what that is?

16 A. I know Greg had another copy, but I do not know
17 why it was blacked out, if they were highlighted
18 or what.

19 MS. WIENS: I could run and get it.

20 MR. KRIENS: We have a -- That's
21 what I'm asking. We have a copy that didn't
22 come from you --

23 MS. WIENS: It might have been
24 highlighted. I mean, I could get it and you
25 could look at it. Maybe it was highlighted

1 before we copied it, I don't know. If you want
2 I can get it.

3 THE WITNESS: There's no sheets we
4 went through and blacked, I think it's as we
5 indicated, because of the copy. If there was
6 something that was illegible let us know and
7 we'll make another copy so it is legible.

8 MR. KRIENS: This is a copy of the
9 log, the original log copy, which is the same as
10 yours, but yours has that blocked out. We're
11 just trying to figure out why.

12 MS. WIENS: Somebody may have
13 highlighted after that, somebody could have
14 highlighted it. I have them in an office and I
15 could grab them.

16 BY MR. KRIENS:

17 Q. That's okay. It's not an important issue. Just
18 a brief question.

19 When we talked about the hydrant
20 discharges was this discussed with your upper
21 management at any time?

22 A. No.

23 Q. Who do you report to?

24 A. Tim Rusch.

25 Q. Was he aware of any of this activity, the

1 hydrant discharges or did you discuss it with
2 him at any time?

3 A. I never discussed any of that with Tim.

4 Q. We want to follow up also on an allegation made
5 to us concerning spill reporting, and the
6 allegation is that there was some sort of
7 unwritten policy which people who discovered
8 spills were told to minimize the quantity so it
9 wouldn't exceed the five gallon spill criteria
10 which requires notification. Do you know of
11 anything about that?

12 A. I am not aware of any unwritten policy to that
13 effect. In fact, if I were aware of that I
14 would get that corrected immediately. That is
15 not the way we do business.

16 Q. I wanted to mention it was an allegation and I'm
17 just following up on that allegation only. I'm
18 not saying we recognize that at all.

19 Do you know about a barge dock spill that
20 occurred I think at tanks 200, 201 and 202?
21 These are tanks located down at the barge dock
22 where there was a spill of those tanks and it
23 was cleaned up in some fashion?

24 A. There were three tanks down by the barge dock.
25 I'll assume for the moment that's -- I don't

1 know the numbers, but I'm not aware of this
2 spill. Do you know when?

3 Q. I'll have to pull it out of the log.

4 MR. BERGER: It's not a log.

5 BY MR. KRIENS:

6 Q. Maybe I'll follow up with that later. I have
7 the specific dates on it somewhere here.

8 With respect to -- we asked Mr. Rusch
9 yesterday about how the environmental department
10 may function in the future to deal with the
11 problems we found, and could you elaborate on
12 that and discuss how that might be changed or
13 what you're going to do about it?

14 A. From a standpoint of a reorganization, we kind
15 of have tried to evaluate what kind of jobs,
16 what kind of opportunities are we capturing,
17 what ones are we missing or anything along those
18 lines. We do try and understand that, what's
19 the best way of doing that if an incident comes
20 up or how do you transfer information. The best
21 way to do it is first of all have perfect
22 information out to the operators overall. They
23 need to understand what they're required to do,
24 how they can remain in compliance and perform
25 their duties as they're charged. What we found

1 out is similar to a safety model that we looked
2 at, we looked back prior to 1990, 1991, and our
3 lost time injury rate was six to ten times
4 higher than industry average for refineries. We
5 had a very good safety department, and they were
6 good, but the ownership for safety belongs in
7 the safety department, not in the people's
8 hands. I mean, when somebody says well, that's
9 a safety problem, don't bother me I've got a job
10 to do, safety department will take care of that.
11 That doesn't work.

12 It was when we suddenly decided everyone
13 needs to be responsible for safety that we were
14 able to achieve drastic improvement. Today we
15 are currently at industry average. Should we
16 celebrate that? Certainly we ought to celebrate
17 it, but it's not good enough. The way we got
18 there was to get everybody involved in safety to
19 understand it's your responsibility. If you see
20 an unsafe act then stop the job, do whatever you
21 do, get it fixed, get it done. It's no longer
22 safety is someone else's responsibility, it's
23 all of our responsibilities.

24 What we need to do now is try to get that
25 to be ten times less than industry average and

1 then we'll truly feel we've done something. I
2 mean, we have done a lot in a couple of years,
3 but we really have more. The same thing applies
4 to the environmental model. If we have 15 or
5 six or ten or 20 environmental staff, if we're
6 the ones that are trying to do it and doing it
7 alone and do it in a vacuum it ain't going to
8 get done, and it's not going to get done
9 efficiently. So what we're going to end up with
10 hopefully is about 600 environmental people.
11 They're going to be able to understand what
12 they're responsible for, it's going to be in the
13 hands of the people turning the valves and
14 cleaning up the spills. It's going to be in
15 their lands to understand all this.

16 Along those same lines though, we're
17 going to have, we as an environmental group are
18 going to continue to exist from the standpoint
19 we need to understand the strategy we need to
20 implement to make sure we get them in place. We
21 have to develop systems around that, we have to
22 do the training of these 600 people to bring
23 them up to speed. There's a lot of them that
24 don't understand what they need to do yet. We
25 felt we had done training, but we may not have

1 been adequate in that. We have to get them up
2 and then we have to go back and check to see if
3 the training was good and the system we put in
4 place and the strategies we're using are going
5 to be successful. That's what we're planning on
6 doing with our reorganization. We hopefully
7 will become essentially what we want to be, the
8 world class operator in the communities around.
9 The health risk assessment that we did was a big
10 step toward that. We wanted to understand what
11 our emissions had in the way of impact to the
12 public and community. That was the most
13 extensive one in the state and may very well
14 have been the most extensive in the country.

15 As part of the Title V we're going to
16 continue to update that. No one else in the
17 state has done a risk assessment and continued
18 to update it. That is a step we want to
19 continue to do. We want to look at the
20 infrastructure throughout the plant. Those are
21 the projects we want to pull back and say okay,
22 operations is going to watch the day to day
23 stuff, we're going to make sure we've got our
24 hands on all this other. Directionally that's
25 where we're going. We think we end up not with

- 1 just 10 or 15 or 20 people, we end up with 600.
- 2 Q. Are you going to reduce the environmental staff
3 number itself?
- 4 A. The direct environmental staff is being reduced,
5 but from a standpoint we're going to use
6 contractors to supplement. For example you look
7 at overall some of the things that we do, and we
8 will gear up to do a one-time only report, let's
9 say a regulatory requirement says come in and do
10 a full survey that might take three months. You
11 know, benzene E shaft was a great example. Do
12 we have people on staff that we should gear up
13 to do that report? No, we shouldn't. We should
14 go out and hire a contractor and say come in,
15 we'll manage that with them and understand it.
16 Let them do it and then give us the data so we
17 understand it, in a form we can understand and
18 implement and then we can send them back.
19 That's the kind of stuff where we're going.
20 Major permitting options, should we have a huge
21 staff to do major permitting? We only do major
22 permits two or three times a year. We're
23 probably not going to have someone on staff to
24 do major permitting. We're going to have
25 someone on staff that will be knowledgeable to

1 the standpoint they understand how it works and
2 what they need to do and what the steps are we
3 need to do, but let outside contractors fill
4 those voids. So that's where we're going.

5 Q. I just have one other thing real briefly, and
6 that is going back to the hydrant discharge
7 subject again.

8 In October of 1994 the operating logs, a
9 series of operating logs, state that there was a
10 discharge of hydrant water to get rid of green
11 water. One of the logs state, and I don't want
12 to get them all out right now, but one of the
13 logs state that safety was ordered to get rid of
14 water, get rid of the green water through the
15 hydrants and they sprayed it on land. Do you
16 know anything about that particular incident?
17 We've discussed it with people here, and some
18 people recall the green water problem that was
19 throughout the plant and they tried to deal with
20 it in various ways with respect to treatment
21 through hydrogen peroxide and looking at how it
22 could breakdown through sunlight and that sort
23 of thing. Eventually it was discharged by
24 hydrants. I'll run through it real quick. It
25 was in October of 1994, and the operating log

1 states the whole plant is green, October 9 of
2 '94, shifties set game plan for green water,
3 shifties talked to Steve David about color, the
4 log discusses the use of sunlight to break
5 color, also a bench test using peroxide at
6 medium concentration to a break color and so on.

7 October 11 an operating log states high
8 chromium six, hexavalent chromium at S7 lab
9 result. Then it talks about Seventh Street sump
10 spilling over into the coker pond, green water
11 in channel. October 11 and 12, coker pond
12 channel still green. October 12 the log states
13 green dye may be contributing to higher
14 hexachrome readings per Craig. We talked to
15 Craig Daniels about that, and apparently there
16 was a dye, a fluorescein dye, green dye, that
17 peaks out at about the same absorbance or the
18 same wavelength rather, on the ion chromatigraph
19 for that dye and very close to hexachrome. We
20 looked into that, and in fact, that's the case,
21 it does peak out real close. So Craig was
22 correct in that. In fact, it may have been a
23 green dye causing the green water. It seems
24 logical to us that it probably was.

25 But then October 12 and 13 operating logs

1 states safety has orders to spray fire hydrants
2 it get rid of green water. Just to finish, do
3 you know anything about that?

4 A. It has my name mentioned in there, but I'm not
5 recalling an incident three years ago. I
6 remember there was a discussion about
7 interferences briefly, but I can't even recall
8 any specifics on the discussion. In fact, that
9 might have been prior to -- that's back when we
10 were using the old hexachrome test.

11 Q. Probably was, yes.

12 A. But I don't recall any specifics. The
13 allegation was essentially they got rid of all
14 the water?

15 Q. It doesn't say you got rid of all the water. It
16 states in an operating log on October 12 and 13
17 at 1920, which I guess is 7:20 in the evening,
18 safety has orders to spray fire hydrants to get
19 rid of green water. Told them -- this is in the
20 log, told them to pull from south pond, B5 at
21 normal level now.

22 A. Sorry.

23 MR. KRIENS: Okay. I'm finished.

24 (Whereupon, the interview concluded at
25 4:50 p.m.)


STATE OF MINNESOTA)
) Ss:
 COUNTY OF HENNEPIN)

BE IT KNOWN, that I, MILO BALLINGRUD, Court Reporter, a Notary Public in and for the County of Hennepin, State of Minnesota, certify that the foregoing is a true record of the interview of STEVE DAVID, and reduced to writing in accordance with my stenographic notes made at said time and place.

I further certify that I am not a relative or employee or attorney or counsel of any of the parties or a relative or employee of such attorney or counsel;

That I am not financially interested in the action and have no contract with the parties, attorneys, or persons with an interest in the action that affects or has a substantial tendency to affect my impartiality;

IN WITNESS WHEREOF, I have hereunto set my hand on this 21st day of November, 1997.



 MILO BALLINGRUD,
 Notary Public, Hennepin County, Minnesota
 My Commission Expires January 31, 2000.