

---

INTERVIEW OF:

GARY ISTA

TAKEN OCTOBER 31, 1997 AT 9:15 A.M.

ORIGINAL

---

MILO BALLINGRUD  
EAGLE REPORTING SERVICES  
2104 Glenhurst Road  
Minneapolis, Minnesota 55416  
(612) 920-3109

INTERVIEW OF GARY ISTA, taken pursuant to agreement of and between parties at, Koch Industries, Inc., P.O. Box 64596, St. Paul, Minnesota, at approximately 9:15 a.m. on Friday, October 31, 1997 before Milo Ballingrud, Notary Public, County of Hennepin, State of Minnesota.

**APPEARANCES:**

Present from the Minnesota Pollution Control Agency:

DON L. KRIENS, P.E.

MARY L. HAYES

GREGORY BERGER

BYRON A. ADAMS

Present from Koch Industries:

JAMES K. VOYLES, Attorney at Law

Present from the law firm Green Espel:

JODEEN A. KOELAK, Attorney at Law

SUSAN K. WIENS, Attorney at Law

**I N D E X****EXAMINATIONS:**

**By Mr. Kriens: page 4, 24, 59**

**By Ms. Hayes: page 22**

**By Mr. Berger: page 19, 57**

**HOCH JOB HISTORY: page 5**

**GREEN WATER DISCHARGE: page 7**

**HYDRANT USE PERMITS: page 9**

**ANNONIA CONCERNS: page 25, 32**

1                   MR. BERGER:     Just a little  
2                   introduction, Gary. As you probably know,  
3                   we're conducting a civil investigation that is  
4                   focusing on Koch Refinery operations and a  
5                   number of pollution slash environmental  
6                   related issues that have surfaced since April  
7                   of this year. We are seeking your cooperation  
8                   in obtaining some information about these  
9                   operations through some questions. And we  
10                  want you to know that you do not have to  
11                  answer these questions if you do not want to,  
12                  you're not obligated to, it is voluntary. The  
13                  information that we obtain in this  
14                  investigation may be used in administrative,  
15                  civil or criminal enforcement action in the  
16                  future. And the MPCA is free to choose either  
17                  of these actions, and if we do choose one it  
18                  does not preclude us choosing another one in  
19                  the future. Do you have any questions about  
20                  at that?

21                   THE WITNESS:     No, I don't.

22                  BY MR. KRIENS:

23                  Q.     Gary, I'm Don Kriens, and I think we met last  
24                          April when we were here in that inspection.  
25                          If you would, please, give us information on

1           what your position is here and how long you've  
2           been here, particularly what you did, where  
3           you worked for the last few years.

4           A.     Few years meaning two years?

5                     MS. HAYES:     Five.

6                     MR. KRIENS:    Yeah.

7                     THE WITNESS:   Safety emergency  
8           response coordinator is my current title, and  
9           we're involved with the safety issues out in  
10          the refinery, day-to-day problem solving in  
11          process units, also emergency response. If we  
12          would have a fire or if we had a leak we have  
13          a team, full-time staff and also a volunteer  
14          fire department, that we train and have them  
15          available for any of the emergencies for the  
16          refinery.

17          BY MR. KRIENS:

18          Q.     Okay. I have the organizational chart, so you  
19                  would report to Larry Barnett?

20          A.     Correct, for about the last year and a half I  
21                  report to Larry Barnett.

22          Q.     Before then?

23          A.     Steve Christianson.

24          Q.     Was he the former manager of that department  
25                  then?

1       A.     Yes.

2       Q.     Okay. We want to ask you questions primarily  
3               about the flush, hydrant flushing activity.  
4               When we are here in April we had had some  
5               information that was brought to our attention  
6               that the company was -- the refinery was  
7               disposing of water and waste water via the  
8               hydrant system. Actually, we did become aware  
9               of it in January when we were notified of one  
10              incident, and then we wanted to learn more.  
11              When we were here doing the inspection we did  
12              discover at that time when we talked to you  
13              that there were more incidents.

14             As you recall in our termination  
15             interview that one day we talked to you that  
16             we got a little bit of conflicting information  
17             during the day, so that's why we wanted to  
18             clear that up. And we still would like to  
19             understand what went on. We reviewed some of  
20             the flushing logs and the operator logs, and  
21             since our inspection determined there were  
22             also additional discharges, so I want to talk  
23             to you about some of those.

24             The first one has to do with a green  
25             water hydrant -- what we call a green water

1           hydrant discharge in October of '94. This  
2           occurred as a result -- the hydrant flushing  
3           apparently as a result of green water in the  
4           system. Do you recall that incident or were  
5           you involved in that?

6           A.     I don't recall anything with green water.

7           Q.     Were you in the safety department at that time  
8           then?

9           A.     In 1994, yes.

10          Q.     Well, let me run through briefly what the log  
11          states. It begins actually September 21, '94,  
12          an operating log, this is the waste water  
13          treatment operating log. It states that there  
14          was a hundred thousand gallons to be dumped to  
15          the coker pond from the number three cooling  
16          tower. Then in October 8 there's a log, and  
17          these are all operating logs, that states the  
18          whole plant was green. That means the whole  
19          waste water system, the storm water ponds, the  
20          coker pond, channels in the coker pond, and  
21          that they notified the shift foreman. Again  
22          on October 9, it goes on to say the plant flow  
23          is green. The shifties set a game plan for  
24          the green water, the shifties talked to Steve  
25          David about color, and then it discussed

1 methods to break down the color. We talked to  
2 previous people about that, and apparently  
3 testing was done to see what could be done.

4 Then October 11 a log states there was  
5 high chromium, hexavalent chromium at the S7  
6 sump, which is the sump, or affluent sump from  
7 the waste water treatment plant after the  
8 final clarifiers. It's describing green water  
9 in the system. October 11 through the 12th it  
10 goes on to say coker pond channel still green.  
11 Then on October 12 through 13 an operating log  
12 states at 1920 hours safety has orders to  
13 spray fire hydrants to get rid of green water.  
14 The log says, told them to pull from the south  
15 pond, B5 at normal level now. Do you know  
16 what that means when the statement is made  
17 safety has orders to spray fire hydrants to  
18 get rid of green water?

19 A. I can't recall a green water issue at all.  
20 Might be involved with the -- a green water  
21 issue?

22 Q. When they say that safety has orders to spray  
23 the fire hydrants, does that mean to open them  
24 up on land to get rid of it?

25 A. If they say to spray hydrants, whether it



1 would be on the land or in the units I don't  
2 know, what the call was made to us, if it was.

3 Q. Would somebody else have been involved with  
4 that then?

5 A. Well, in 1994 that was about the time -- we  
6 have a hydrant permit system in the refinery,  
7 so we would know when hydrants were used.

8 Q. An internal permit system you mean?

9 A. Yes. About three years ago we put that in  
10 place.

11 Q. Were you the safety emergency response manager  
12 then that would be in charge of the hydrants?

13 A. In '94?

14 Q. October of '94.

15 A. I might have been the fire and safety marshal.  
16 It's pretty much the same duties as far as the  
17 spraying of water or putting water out,  
18 flushing, it's a pretty common practice for us  
19 to go out and flush our mains.

20 Q. Yeah, I understand that.

21 BY MS. HAYES:

22 Q. I have a quick question. This has come up  
23 several times. I'm interested in what the  
24 permit process is. Can you plain that?

25 A. The actual permit, we have a written permit

1 that is filled out so people are trained on  
2 the use of a fire hydrant so we don't end up  
3 with the valves either being closed or broken.  
4 So it's in a ready state for us. If somebody  
5 uses it for hydroing or for water use, we go  
6 down there and make sure the person is trained  
7 on the actual use of a hydrant. A permit is  
8 filled out, and then when they're done using  
9 it they have to come back and talk to us about  
10 if they're done with the water usage and the  
11 hydrant done. Then we go down and make sure  
12 that the hydrant is in usable form again.  
13 What happens is if it's not when we go to use  
14 the hydrant, if somebody is just out using the  
15 hydrants arbitrarily, then we would use it for  
16 emergency it could be in a non-ready state.  
17 Q. So every time a hydrant is used, and you think  
18 it's been about three years, you would have a  
19 permit for it?

20 A. Correct.

21 Q. Do you have a log of those permits?

22 A. Yes. We keep those for a year.

23 Q. You just keep them for a year?

24 A. Right.

25 BY MR. KRIENS:

1 Q. So would you have -- you gave us the flushing  
2 logs, is that related to the permits?

3 A. No. If safety department is going to use the  
4 hydrants we don't write a hydrant permit  
5 because --

6 Q. Okay.

7 A. We are trained, we understand the use.

8 Q. I see. So can, like let's say the operations  
9 area, use a hydrants to let's say open up the  
10 hydrant, flush water out on land? They can  
11 actually do that if they get a permit from  
12 you, is that how it works?

13 A. Yes.

14 Q. Okay. Do you know what that means when they  
15 say safety was ordered? Who would order  
16 safety then to get rid of green water? I  
17 mean, who would be the person or department  
18 that would order the safety? And I assume  
19 they means safety department.

20 A. In '94 we didn't have control of the actual  
21 fire ponds as far as their level, so we could  
22 have been told to. If the levels are high in  
23 the ponds we could flow water, do flushing.  
24 We are in control of the ponds now, and it's  
25 very critical we keep those ponds within

1 certain levels so we have enough water for  
2 firefighting.

3 Q. So you would control the pond levels by  
4 flushing it on land?

5 A. Well, if the pond levels are high, it's a good  
6 opportunity when they're high for us to do  
7 flushing. If the pond levels are low we can't  
8 go out and do our fire main flushing because  
9 we wouldn't have enough water for the actual  
10 firefighting. So if pond levels are high --

11 Q. You do the flushing?

12 A. We can do the flushing.

13 Q. Flushing for what purpose then?

14 A. We have to maintain the integrity of the fire  
15 main for ourselves. As we built onto the  
16 refinery, enlarged the number of mains, then  
17 it becomes more critical that we do have more  
18 flushings that occur.

19 Q. When do you do those then?

20 A. Throughout the year, depending on what the  
21 activity is in the refinery, if we have  
22 shutdowns or turndowns, so it varies as to  
23 when and if we have the manpower available.

24 Q. Well, it is contradictory to what you've told  
25 us before. Before we were told, and actually

1 at our inspection and in our interview, that  
2 that was done in the fall.

3 A. That's the winterization on the hydrants, but  
4 the main flushing, we actually grid the system  
5 up. There's two activities that go on,  
6 there's the actual hydrant flushing or getting  
7 that specific hydrant ready for winterization,  
8 that is just a hydrant, and then you have your  
9 fire mains that are attached to that.

10 Q. And that's done through the year then?

11 A. It has been as we've taken over the actual  
12 pond levels and the size of the refinery has  
13 gotten bigger. We do a lot of training with  
14 the fire equipment, we've been doing that  
15 throughout the year.

16 Q. Okay. I guess that wasn't our understanding  
17 and that's not the information we received  
18 from the environmental department and from  
19 you.

20 MS. WIENS: You're not saying don't  
21 flush in the fall.

22 MR. KRIENS: He's saying they do.

23 MS. HAYES: We thought it was  
24 limited to the fall.

25 THE WITNESS: That's when we

1 winterize all 380 hydrants. So you flow the  
2 hydrants, you make sure it drains down, the  
3 valves are adjusted and then we put a tag  
4 around that hydrant so we know that's been  
5 winterized. That's the program for the -- we  
6 put a map together and we mark each hydrant.  
7 Each hydrant is numbered, and we mark each one  
8 that they have been winterized. So if  
9 somebody gets a permit they go out there -- we  
10 have to go out and check. There are some that  
11 don't drain down, so we have to go out and  
12 pump them down otherwise we end up with a  
13 frozen hydrant.

14 BY MR. KRIENS:

15 Q. Right. So why would you do it at other times  
16 of the year?

17 A. Just the amount of system that we have out  
18 there and the amount of limited manpower we  
19 have. We used to be able to go out and flush,  
20 maybe take a month and go out and flush, and  
21 with the tie-ins and the change in the main  
22 system there's more of an opportunity to  
23 spread that out throughout the year. We've  
24 got a board in our building that shows all of  
25 our activities.

1 Q. But what would be the purpose of doing it  
2 throughout the year?

3 A. If we do tie-ins onto the mains, and we have  
4 found some mains that have been -- had a lot  
5 of lay down, corrosion in them, so then that  
6 activity increased to make sure we flush that  
7 main out. If we would have a fire and we did  
8 have an incident where the actual nozzle  
9 plugged off when we were fighting the fire,  
10 that's what we're trying to avoid. It's very  
11 critical for us to have those lines clear to  
12 go to a high flow condition.

13 Q. Sure. How long of a period of time do you  
14 need to flush that, you know, to clear it or  
15 to make sure it's usable then?

16 A. It depends on the size of the main. They put  
17 together a flow chart according to the size,  
18 whether it's a 6, 8, 10, 12, 14 or 16 inch  
19 main as far as the amount of flow and  
20 velocity. And the length of the main, too,  
21 trying to get that velocity throughout the  
22 different mains.

23 Q. Can you give me a time in minutes how long?

24 A. I think it would depend on what they're seeing  
25 as far as the flow. Sometimes the flow is

1 water coming out that would contain whatever  
2 is laid down in the pipe and then it would  
3 clear up and then it would flow again, so it's  
4 kind of arbitrary as far as -- I couldn't say  
5 10 minutes, 20, 30.

6 Q. Is it like an hour less? Would you go up to  
7 an hour on that?

8 A. Maybe on the larger mains. You wouldn't have  
9 to do that on a six or eight inch main. On  
10 main laterals you would want to flow longer  
11 because they are longer mains.

12 Q. So if you had something going -- there would  
13 be no reason to really have it going for hours  
14 then that I could see for that purpose?

15 A. As far as continually going?

16 Q. Right.

17 A. In our grid system --

18 Q. Say for 12 hours or whatever, or four hours of  
19 doing that.

20 A. As far as the flushing?

21 Q. Uh-huh, yeah.

22 A. If it didn't clear up we would.

23 Q. Have you ever done it where you've needed to  
24 do it for more than an hour?

25 A. We have flowed to maintain our pond levels,



- 1 make sure we didn't overflow our pond levels.
- 2 Q. Flowed where?
- 3 A. Flowed our mains on different end laterals.
- 4 Q. You mean moved the water back and forth?
- 5 A. No, flow it out like off our hydrants.
- 6 Q. Onto land areas?
- 7 A. Uh-huh (nods head).
- 8 Q. So you've done that to maintain the pond
- 9 levels also?
- 10 A. Uh-huh (nods head).
- 11 Q. Okay. How often was that done?
- 12 A. I think we've talked before like five times or
- 13 something in April when you were out. It was
- 14 like five times I can remember that we had
- 15 done that.
- 16 BY MS. HAYES:
- 17 Q. Is that five times over what time frame, do
- 18 you remember?
- 19 A. I think we talked about like in a year's time,
- 20 talking the year in April.
- 21 Q. That's kind of the way I remember it.
- 22 A. Like five times in a year.
- 23 Q. You said that in '94 safety wasn't in charge
- 24 of pond levels?
- 25 A. Correct.

- 1 Q. Who was in charge of pond levels then?
- 2 A. Waste water treatment.
- 3 BY MR. KRIENS:
- 4 Q. So the waste water treatment plant operation
- 5 controlled the fire water pond levels in '94?
- 6 A. Yes.
- 7 Q. So if we see a statement where safety is
- 8 ordered at that time to get rid of water,
- 9 that's what it says, it would have come
- 10 probably from the waste water treatment plant
- 11 operation since they were responsible?
- 12 A. For controlling the levels, yes.
- 13 Q. So who would be the unit -- I guess who would
- 14 have been the unit supervisor in the chain of
- 15 command there? Well, I guess that would be --
- 16 we got that from Eric Thraen.
- 17 A. In '94 I'm not sure.
- 18 Q. I guess that would have been Larry Klemetson
- 19 or Rick Legvold and then to Eric Thraen.
- 20 Okay. So let me try and finish this green
- 21 water subject. Do you know where -- you don't
- 22 apparently know anything about the green area
- 23 in '94?
- 24 A. I don't recall anything about green water.
- 25 Q. Okay. Do you know of any other incidents or

1 episodes where the hydrants were used to  
2 dispose of water, let's say for getting rid of  
3 water like green water or upsets or anything  
4 like that?

5 A. Other than what we've been involved with in  
6 pond levels, no, and our flushing.

7 BY MR. ADAMS:

8 Q. I have a question. When someone notices the  
9 pond levels are high or about to spill over,  
10 they then notify safety that flushing might be  
11 needed to get the pond levels down?

12 A. Currently we are in charge, safety is in  
13 charge of the pond levels. So we monitor  
14 those and control the levels at this time.

15 Q. You're looking at the stage level markers, and  
16 let's say the coker pond, noting the elevation  
17 might be 13 feet 10 inches perhaps?

18 A. Not the coker ponds, just the two fire ponds.  
19 The north and south fire ponds are the ones.

20 Q. That you would control?

21 A. Right.

22 Q. And level control needed to be done you would  
23 spray then?

24 A. (nods head.)

25 Q. And not the west pond?

1 A. No.

2 Q. That's not part of that?

3 A. That's not within the safety departments. We  
4 just have the two fire ponds.

5 BY MR. KRIENS:

6 Q. Are there any flushing logs available for '94?  
7 We didn't get those, and I don't know if it  
8 was because we didn't ask for those or if they  
9 weren't available.

10 MS. WIENS: What do you mean by  
11 flushing logs?

12 MR. KRIENS: These are logs that the  
13 safety department keeps for when they flush  
14 hydrants for whatever reason, as I understand  
15 it.

16 THE WITNESS: Yeah. I think in '94  
17 the only thing we would have still is a map  
18 that everybody marked off as to what they  
19 are -- I don't even think we had our hydrants  
20 numbered at that time.

21 MS. WIENS: Do you have a document  
22 called a flushing log?

23 MR. ADAMS: Do you have any example  
24 we could show her?

25 MR. VOYLES: You keep them for a

1 year?

2 THE WITNESS: Yeah, the hydrant  
3 permits we keep for a year. I don't know that  
4 they kept the maps as far as for '94. What it  
5 was, was to make sure that we were satisfied  
6 all of the hydrants had been taken care of and  
7 highlighted each one.

8 MS. WIENS: Are you talking about  
9 the safety audit sheets?

10 MR. KRIENS: No. These are actual  
11 logs. We have them back through December of  
12 '95.

13 THE WITNESS: Our daily logs?

14 BY MR. KRIENS:

15 Q. Right.

16 A. Our daily operational logs.

17 Q. Right. We call them flushing logs. I'm  
18 sorry.

19 A. Oh, that's our people who are on shift there,  
20 the log is the activity that has taken place,  
21 you know, throughout the shift.

22 Q. So that would be the safety --

23 A. The safety department shift log. It's just an  
24 ongoing log for each shift.

25 Q. Are those available for '94?

1 A. I'm not sure.

2 Q. We got them as early as November of '95, going  
3 back to November of '95, and I wasn't sure if  
4 they weren't available before that or if we  
5 just didn't ask for them, because we asked for  
6 a certain limited amount. Maybe we could  
7 check on that and see if they're there.

8 In any case, you weren't involved with  
9 that because at the time waste water treatment  
10 plant was in charge of the levels in the pond?

11 A. Correct.

12 BY MS. HAYES:

13 Q. I have a question. In terms of you being in  
14 charge now of the levels in the ponds, do you  
15 ever talk with waste water or environmental  
16 about the ponds, the quality of the water in  
17 the ponds prior to flushing them? Is that  
18 ever something you talk about before you do  
19 that? Are samples ever taken that you're  
20 aware of? Do you get involved in that, Gary?

21 A. We haven't taken samples as far as us as a  
22 department. Waste water is in charge of the  
23 sampling of the ponds.

24 Q. I guess I'm just wondering if there's any  
25 coordination there around the specific times

1           that you make the determination that those  
2           levels are getting too high, they need more  
3           freeboard, do you coordinate --

4       A.     We do transfers back and forth north to south.

5       Q.     I understand that, but don't you also flush --  
6           don't you also let hydrants flush when you --  
7           at times doesn't it go on land to deal with  
8           pond levels?

9       A.     Uh-huh (nods head).

10      Q.     In those cases do you ever coordinate with  
11           environmental or waste water, whoever you  
12           coordinate with, about the quality of the  
13           water in the pond prior to letting the water  
14           on the ground?

15      A.     There wasn't an issue until January when there  
16           was -- they talked about an ammonia issue, and  
17           then there was some sampling done through  
18           waste water and environmental, and if we were  
19           to flush there were only certain quantities we  
20           could flush. That's the only time we've been  
21           involved with any, you know, changes as far as  
22           how much you can flush.

23      Q.     That was communicated to you by environmental?

24      A.     Uh-huh.

25      Q.     But prior to that any time you would -- to get

1 enough freeboard you might flush hydrants, you  
2 wouldn't coordinate with anyone, no one would  
3 coordinate with you about checking on the  
4 quality of the water prior to it going on the  
5 ground?

6 A. I would say January was the first time there  
7 was anything as far as restrictions to us as  
8 far as flow.

9 BY MR. KRIENS:

10 Q. So before that, before January, you would  
11 flush, take water from the pond whenever it  
12 got high and you felt you needed to lower the  
13 pond level for safety purposes. And to your  
14 knowledge then you didn't analyze or nobody  
15 analysed the water?

16 A. As far as the function of the safety group,  
17 no, we didn't have any --

18 Q. I mean your department was in charge of doing  
19 it, so prior to the point of which you did it,  
20 you didn't receive data on the characteristics  
21 or analysis of the pond?

22 A. No, we didn't.

23 Q. So was it just on the basis of the level then?

24 A. Right.

25 Q. Do you know how far back that went? Do you



1 recall since you've been -- your department  
2 has been responsible for managing the water  
3 level in those ponds?

4 A. Approximately two years that we've been.

5 Q. Doing it that way?

6 A. In charge of the actual levels of the ponds.

7 Q. I mean when flushing or disposing of it via  
8 the hydrants to land, do you recall when that  
9 began, when you began doing it to manage the  
10 pond levels that way?

11 A. I couldn't be specific before I was involved.  
12 I don't know as far as a time frame, you know,  
13 the flushing occurred. Up until January we  
14 would flush, you know.

15 Q. On land or -- up until January you would flush  
16 it on land to manage the pond levels?

17 A. January became the first time that there was  
18 an issue as far as volume amounts as far as  
19 flushing. That's the first time.

20 MS. HAYES: Do you know what raised  
21 that issue in January? Do you know what was  
22 different about that issue compared to other  
23 times?

24 THE WITNESS: Ammonia. They said  
25 that there was an ammonia issue and so we

- 1           could flush so much water.
- 2       BY MR. KRIENS:
- 3       Q.     Because they had measured at that time?
- 4       A.     Right.
- 5       Q.     But prior to that you didn't really get data
- 6           to determine any levels that you know of?
- 7       A.     It wasn't an issue for us. Like I say, in
- 8           January then the ammonia issue became
- 9           something where they said you can only flush
- 10          so much.
- 11      Q.     So was it done before January then, of '97,
- 12          where you flushed the hydrants on land to
- 13          lower the pond levels?
- 14      A.     Yes, because we had control of the pond levels
- 15          before January of '97.
- 16      Q.     Into '96, was it done in '96 and do you
- 17          remember how early in '96 it was done?
- 18      A.     We had talked about the five times we had done
- 19          that.
- 20      Q.     What would be the earliest one, do you recall?
- 21      A.     You were here in April, and I think we talked
- 22          about the year before that. I can remember
- 23          about five times, so that would have been like
- 24          back to April or around that time frame.
- 25      Q.     April of '96?

1           A.       '96, uh-huh.

2                   MS. HAYES:     What do you recall prior  
3                   to that, the year preceding that?

4                   THE WITNESS:    That's the five times  
5                   I could really remember that we talked about.  
6                   That pretty much fits in with us, you know,  
7                   controlling the actual ponds.  It's more  
8                   critical for our operation.  We want to know  
9                   up and down as far as flows that we actually  
10                  have enough fire water.  That's part of the  
11                  issue of us taking over the control of the  
12                  system and that decision.

13          BY MR. KRIENS:

14          Q.       So before that the waste water plant  
15                   controlled that decision anyway, but safety,  
16                   it appears anyway, in October of '94 that  
17                   safety would have done the physical work to  
18                   carry it out?

19          A.       That's something that -- that green water  
20                   issue, I don't recall anything on that.

21          Q.       I'll go into the ones in '96 and '97, we have  
22                   questions on those, so let's do that.  I'll  
23                   start off with the -- let's see if we've  
24                   answered these general questions first.  Well,  
25                   one question ahead.  We noticed in the shift

1 logs, your safety logs, some notation here and  
2 there of the hydrants being used in that  
3 fashion. Were there records kept of these  
4 incidents that you're aware of?

5 MS. WIENS: What fashion are you  
6 talking about?

7 BY MR. KRIENS:

8 Q. The disposal of water via the hydrants to  
9 lower the pond on land. Did you keep records  
10 of those activities?

11 A. The only records we would have kept about  
12 water would have been after January once there  
13 was an issue of ammonia.

14 Q. So before you may not have?

15 A. There wasn't a need for us to go out. I mean,  
16 we had to flow calculate how much was going  
17 out.

18 Q. So you wouldn't necessarily have kept records  
19 before?

20 A. No.

21 Q. We found some records here and there, but  
22 they're not consistent, so I just needed to  
23 understand that, if we missed something or  
24 whatever. Did anyone ever -- before January  
25 did anyone ever question the legality of that

1 practice, of lowering the pond levels via the  
2 hydrants to land areas?

3 A. (Shakes head.)

4 Q. Was there ever any meeting internally to  
5 discuss it before January of '97?

6 A. No.

7 Q. So at least do you know of any internal  
8 meeting where that was discussed?

9 A. As far as lowering the pond level and the  
10 legality?

11 Q. Right. Well, not lowering the pond levels,  
12 but doing it via the hydrants on land.

13 A. Like I say, the only issue that came to us as  
14 far as constraints on the flowing of water was  
15 in January when the ammonia issue came as a  
16 notice to us.

17 Q. When you did it before January, and I assume  
18 you notified the environmental department  
19 after because you had a reportable quantity  
20 method to deal with it, but before that when  
21 you flushed to land areas did you notify the  
22 environmental department or were they involved  
23 with that?

24 A. No.

25 Q. We have some specific ones that we did note in

1           here, and part of them are a result of a copy  
2           of logs given to us at that April inspection,  
3           and I've got to find it here. I'll get to  
4           that in a minute, but I want to talk about one  
5           in particular. This was in November of '96,  
6           and I'll read through quickly some logs that  
7           pertain to this and that led up to this  
8           flushing incident. In October 24 there is a  
9           memorandum from Heather Faragher to a number  
10          of people at the refinery.

11                       MS. HAYES:     It's number 2079.

12          BY MR. KRIENS:

13          Q.       Right. That talks about the annual toxicity  
14                   testing. It talks about the testing will be  
15                   done by an outside lab, that we will be  
16                   sending river samples and affluent samples,  
17                   too. The sample collection will start on the  
18                   4th of November and last through the 7th.  
19                   I'll skip a few, but November 3 there's an  
20                   operating log from 700 to 1900 hours. At 16  
21                   hours -- I'm just paraphrasing, specials on  
22                   the \$7 to lab for TSS ammonia, it gives the  
23                   result, 72 TSS and 110 ammonia. It also says  
24                   drop off a copy of Heather's letter for the  
25                   shifties for toxicity sampling and testing

1 starting Monday, November 4. Also it says cut  
2 flow to river to 1.7 units, and a units means  
3 so much flow as I understand it. Do you know  
4 what that actually means?

5 A. (Shakes head.)

6 Q. Okay. Then a November 3, '96 operating log,  
7 1900 to 700 hours, specials to lab from north  
8 and south polishing ponds, S7 and tank 63.  
9 Then another log on November 3, memo from Dave  
10 Gardner with specials results, limit flow to  
11 river to two units and then a statement that  
12 says I hope these moves prove sufficient in  
13 light of tomorrow's annual toxicity testing.

14 Then on November 3 of '96 there's an  
15 operating log that states that safety to open  
16 three hydrants in west tank farm on ground to  
17 help get rid of water. Water flowed from 1900  
18 hours November 3 to 700 hours November 4.  
19 There's no notation in your safety logs of  
20 that. This was obtained from an operating log  
21 and from other information that we have. Then  
22 on November 4 there is a safety log that  
23 states flowing water in west tank farm west  
24 side of I Street.

25 So my question is were you involved with

1           this particular instance, November 3rd through  
2           the 4th of '96 where beginning at 7:00 p.m. in  
3           the evening through 7:00 a.m. the next  
4           morning, which would have been Monday morning,  
5           and that was the date the toxicity test was to  
6           have begun, were you involved with that  
7           particular incident?

8       A.    Yes. That would have been one of the five  
9           times that we were flowing.

10       Q.   Do you recall why the water was disposed of  
11           during that period of time?

12       A.   Other than pond levels, no.

13       Q.   Was there any problem that you know of with  
14           respect to the operation of the waste water  
15           treatment plant at that time concerning high  
16           ammonia levels and difficulty meeting levels?

17       A.   I don't recall any. As far as ammonia levels,  
18           the first time we knew of anything about  
19           ammonia was in January.

20       Q.   I'm not talking about that, I mean actual  
21           difficulty meeting ammonia limits at the waste  
22           water plant for the discharge to the river.

23       A.   That didn't mean anything to us until January  
24           for us being involved with the system. We're  
25           not involved with the testing, we're not



1 involved with the flows to the river, we have  
2 the responsibility of the ponds themselves.

3 Q. Do you know at that time who would have  
4 ordered or who took the initiative or was  
5 somebody ordered to dispose of water during  
6 that period of time, that evening?

7 A. I'm not aware of anybody being ordered to do  
8 that other than our flushing or flowing of  
9 water for level control.

10 Q. Why would the levels have been high enough at  
11 that time or why wouldn't you have just  
12 discharged it through the normal waste water  
13 system and out to the river?

14 A. We don't control that flow to the river, so  
15 it -- the pond levels, whatever waste water  
16 does as far as their low to the river can have  
17 an influence on our pond levels. If our pond  
18 levels are high we take care of them.

19 Q. As opposed to disposing on land, why wouldn't  
20 you just let it go to the river, increase the  
21 flow to the river? At the time the flow to  
22 the river was restricted by the waste water  
23 system apparently, so if the ponds were high  
24 why wouldn't you just let more go to the  
25 river?

1 A. That's not a function of our responsibility.

2 Q. So what you're saying is your department just  
3 took a separate action because the pond levels  
4 were high and it was coincidental to the other  
5 things?

6 A. As far as our control, yeah. We're interested  
7 in the pond levels.

8 BY MS. HAYES:

9 Q. Let me ask a real quick question. If January  
10 is the first time it came up that you had the  
11 high ammonia, that ammonia--

12 A. That ammonia was an issue for us.

13 Q. Does anybody ever stop to ask the question at  
14 that point, were you around when anybody asked  
15 the question if ammonia is high why are we  
16 discharging to the ground, why not discharge  
17 through the designated all fault? Were you  
18 around for discussions like that at all, Gary?

19 MS. WIENS: Are you talking about  
20 before January?

21 MS. HAYES: No, I'm talking about  
22 the January one, the one that Gary says he  
23 knows about, he knows about the ammonia being  
24 high. When that happens and you know that  
25 you're restricted in terms of how much you can

1 be flushing on the ground, it seems like an  
2 obvious question to me, that somebody  
3 somewhere -- you would be talking to people  
4 that would ask the question why, if there's an  
5 issue with the amount of ammonia in the storm  
6 pond, why are we discharging to the ground,  
7 why aren't we going through all faults? I  
8 mean, does that seem obvious that question  
9 would be asked? It just seems obvious to me.  
10 And I guess I'm --

11 THE WITNESS: We told that ammonia  
12 is an issue. And we didn't know ammonia was  
13 ever an issue, so now we have to follow that  
14 criteria, that ammonia is an issue for us  
15 flowing and we can't go over a certain amount  
16 of flow. As far as somebody digging in and  
17 going -- we have a thousands things to do out  
18 there running our own business.

19 BY MR. KRIENS:

20 Q. So prior to that January you just discharged  
21 whenever -- I'm not trying to put words in  
22 your mouth. Did you only discharge whenever  
23 the pond levels were high irrespective of any  
24 characteristics in the pond, it was just on  
25 the basis of the pond level only?

- 1       A.       We also discharge for --
- 2       Q.       I'm talking about hydrants onto land.
- 3       A.       Well, when you do fire training with our
- 4               equipment or testing equipment. So it wasn't
- 5               just for the control of the pond levels.
- 6       Q.       But I'm talking about that particular
- 7               situation. When you did do that you didn't
- 8               take into account ammonia levels or anything
- 9               else, you just sprayed on land due solely to
- 10              the level in the pond.
- 11      A.       You're talking about the November date?
- 12      Q.       No, in general before January.
- 13      A.       Before January, right.
- 14      Q.       Okay. Were you aware on November 4 there was
- 15              a scheduled Bioassay testing to take place on
- 16              the affluent?
- 17      A.       No.
- 18      Q.       Do you know at that time -- were you involved
- 19              yourself with flushing on November 3rd through
- 20              the 4th, do you recall that incident?
- 21      A.       That really isn't part of my function,
- 22              physically going out and doing it, people on
- 23              shifts would.
- 24      Q.       But were you aware of that or did you know
- 25              about it?

1       A.       I can't recall. You know, we talked about  
2               those five times and trying to put those to  
3               memory, but as far as physical dates, I don't  
4               recall.

5       Q.       What we were given from the company did not  
6               include that one. I don't know if you recall  
7               that (indicating).

8       A.       In our shift log?

9       Q.       It wasn't in your shift log, that is what we  
10              received when we were out in April that was  
11              put together for us.

12      A.       (Views document.)

13                      MS. WIENS:       Who put it together?

14                      MS. HAYES:       Somebody from Koch.

15      BY MR. KRIENS:

16      Q.       My understanding is it was put together during  
17              the time we were there that day and meeting.

18                      There is a shift log for November 4 that  
19              states flowing water in west tank farm west  
20              side of I Street. Would that be related to  
21              the November 3 one then, do you know?

22      A.       On the 4th it said that?

23      Q.       Yes.

24      A.       Is that from a night shift or a day shift?

25                      MS. WIENS:       It's number 4472.

1 THE WITNESS: (Views documents)  
2 That's night there, so that could be 6:00 at  
3 night until 6:00 in the morning.

4 MR. VOYLES: Do you know who put  
5 that list together that's in front of you,  
6 Gary?

7 THE WITNESS: No.

8 MR. KRIENS: We had asked for a  
9 summary of that at the meeting in April, and I  
10 think either Steve David or Karen Hall went  
11 and got it put together. I'm not sure who put  
12 it together for them.

13 BY MR. KRIENS:

14 Q. So you weren't aware of the flushing during  
15 the November 3rd, 4th one?

16 A. I couldn't say specifically that date,  
17 recalling it specific to that date.

18 Q. Do you know -- our records and the report on  
19 the toxicity test shows then that it was  
20 changed. It was scheduled to be November 4,  
21 and I believe it was changed then to about  
22 November 10 of '96. Do you know anything  
23 about that, why it was changed?

24 A. No.

25 Q. Let me talk about these other ones starting in

1 January, because that was when you, as I  
2 understand, became more involved with  
3 reportability of these. We noticed in  
4 February that there were three hydrant  
5 discharges, and --

6 MS. WIENS: Which date?

7 BY MR. KRIENS:

8 Q. February of 1997. February 25 there was  
9 flowing hydrants, southwest hydrants, Highway  
10 25 and so on, flow for ten minutes a total of  
11 285,480 gallons. Apparently that was measured  
12 off the P dot reading and the pressure. On  
13 February 26 the day shift, a total of  
14 284,665 gallons, and then on February 27 a  
15 total of 451,200 gallons. Do you know of any  
16 other hydrants discharges besides those three  
17 in February? Those are the ones we do have  
18 documents for.

19 A. After January if there's going to be any  
20 flowing it would have to be recorded. So if  
21 there isn't anything there -- people on shifts  
22 were told they would have to report.

23 Q. Would that be recorded in the shift log?

24 A. It should be in the daily shift log, yeah.

25 Q. Okay. Do you know why the water was then

1 discharged in this fashion on those three days  
2 at the end of February of '97?

3 A. No, I don't know.

4 Q. I made a chart which shows when these  
5 discharges occurred according to the documents  
6 in the logs (indicating). This chart is  
7 related also then to the ammonia influent that  
8 was in the waste water plant which we obtained  
9 from reports from our engineers. Let me  
10 briefly review it.

11 From our record on the shift logs, the  
12 first one occurred June 18 through 19 of '96  
13 that we know of. Then this one we were  
14 talking about, the Bioassay, on November 3 and  
15 4 of '96. This correlates with the ammonia  
16 pounds per day influent of the waste water  
17 treatment plant. On the November 3, 4 of '96  
18 period when the hydrants were flushed from  
19 7:00 p.m. to 7:00 in the morning November 3  
20 through November 4 they also had a very high  
21 ammonia load to the system. In fact, it was  
22 the second -- I believe the second highest  
23 during this whole year and a half period. I  
24 wanted to point that out. It brings into  
25 question the basis or reason for discharging



1 the water at that time. We have another log  
2 we found that occurred November 16,  
3 November 17 from the shift logs. I don't know  
4 if that was in that copy that was provided to  
5 us. Then there's the January 4, '97 one when  
6 they flushed about 2.9 million gallons to  
7 wetland area. And then the February 25, 26  
8 and 27. Do you know why on those dates it was  
9 flushed to land?

10 A. November?

11 Q. No, February 25, 26, 27, why safety would have  
12 done it three days in a row at the end of the  
13 month?

14 A. I would have to look in the logs and see if  
15 there's any -- our daily logs to see if  
16 there's anything, if were we doing laterals or  
17 flowings. I don't know of any specifics.

18 Q. Would the ponds have been so high that you  
19 would have to lower them three consecutive  
20 days?

21 A. We would have to look, you know, at what the  
22 levels were. I don't recall anything on those  
23 dates.

24 Q. That would be good if you could do that.

25 MS. WIENS: Do you have the logs

1           you're talking about?

2       BY MR. KRIENS:

3       Q.     No. We're talking about the pond level logs  
4           here.

5       A.     The pond levels are listed on the logs.

6       Q.     I don't think I brought those three along, but  
7           they're in the shift logs.

8       A.     Are those the same three dates then that we  
9           had flowing, that it was recorded?

10      Q.     Uh-huh. This is actually a summary taken from  
11           those.

12      A.     So the 25, 26 and 27?

13      Q.     Yeah. Actually I need to point out, and I  
14           can't remember which ones, one or so -- well,  
15           let's see. You have the 25th on here and the  
16           27th (indicating), that were reported on this  
17           copy that was given during the inspection.  
18           They aren't, however, noted on your shift logs  
19           that I can recall. I might be wrong here, but  
20           I don't have them with me. I don't remember  
21           that they were exactly on the shift logs, but  
22           we did have them on this copy, so they must  
23           have come from somewhere. We don't know where  
24           that record came from. And the 26th, which is  
25           not noted on this one was obtained from your

1 shift log. So they may not be on your shift  
2 logs, but as you can see it was given to us at  
3 the inspection, two of these are information  
4 from there. I think one of them is not on  
5 your shift log.

6 MS. WIENS: It would be helpful to  
7 have the logs and look at, because I've seen  
8 these logs and they are cryptic.

9 MR. KRIENS: They're very difficult  
10 to read.

11 MS. WIENS: When I looked at them I  
12 didn't get half of what they said, the people  
13 who authored them. And seeing exactly when is  
14 much more helpful than seeing your  
15 interpretation of them.

16 MR. KRIENS: Well, this is taken  
17 right off the logs.

18 MS. WIENS: I know, but there's a  
19 lot of stuff that go on the logs that you may  
20 not have picked up as important or relevant  
21 that he would pick up because he knows the  
22 abbreviations.

23 MR. KRIENS: That's why I'm asking  
24 him questions, to examine those. It seems  
25 peculiar to us that you would pump the water

1 out three days in a row over a million  
2 gallons.

3 MS. WIENS: You should let him look  
4 at the records to answer your question.

5 MR. KRIENS: Do you have those  
6 available here?

7 THE WITNESS: We should.

8 BY MR. KRIENS:

9 Q. The question I had was why it was done three  
10 days in the row at the end of February. The  
11 concern we have is that in February, February  
12 happens to be one of the highest ammonia  
13 loads. In fact, it exceeds the capability of  
14 the waste water plant to treat ammonia during  
15 these periods. It happens to be the highest  
16 ammonia loading, the second highest during the  
17 year and a half period. The first highest was  
18 in March of the '97, and then the other next  
19 highest was January of '97, and then November  
20 of '96 was a very high one.

21 A. These numbers and the flow amounts, they put  
22 them down as to the gallons according to what  
23 we were given for information.

24 MS. WIENS: If you want to take a  
25 break I can try and find them. I would rather

1 have him talk about something he could look at  
2 and know rather than speculate.

3 MR. KRIENS: Well, will you be able  
4 to determine -- is it going to enable you to  
5 determine why you discharged the water during  
6 those dates?

7 MS. HAYES: Is that on the log?

8 THE WITNESS: I don't know.

9 MS. HAYES: Sometimes it is and  
10 sometimes it isn't?

11 THE WITNESS: Right. Something  
12 maybe, here's why we did it, you know.

13 MS. HAYES: Let's take a break then.

14 (At this time a break was taken.)

15 BY MR. KRIENS:

16 Q. We have these logs now, and I think we left  
17 off wondering what the basis of those  
18 discharges were. So just to reiterate, you've  
19 got 285,000 the 25th, the 26th about 285,000  
20 and 27th 450,000 gallons. Can you explain  
21 then why the water was discharged?

22 A. As I look at it, when you look at the lagoon  
23 outage we're seeing on the south 3.2 and the  
24 north 6 inches and the 11 inches, so the  
25 lagoons are right at the very top.

- 1 Q. What would be the top?
- 2 A. At zero, that's totally full.
- 3 Q. So when this says --
- 4 A. That says zero foot six inches.
- 5 Q. Okay.
- 6 A. And this one here is 11 inches from the top.
- 7 Q. On the north, and the south would be --
- 8 A. Three foot two and two foot six.
- 9 Q. Okay. Is the south -- go ahead and explain
- 10 further.
- 11 A. It says fire pumps switch, south jockey off,
- 12 which would be drawing off here (indicating),
- 13 and the north big is -- it says north big
- 14 electric on, so that would be drawing out of
- 15 the north pond to bring that -- you don't want
- 16 to be sitting --
- 17 Q. Right. And that would be drawing where,
- 18 taking it where?
- 19 A. That would be pressurizing the system from the
- 20 north. There's a 30 inch intake that draws
- 21 into the pump, and then putting that out in
- 22 our -- putting the pressure from that system,
- 23 and the back pressure control would be open to
- 24 allow the water to move to the south lagoon.
- 25 Q. So this was the 24th it was moving into the

1 south lagoon?

2 A. Correct.

3 Q. Because this was high?

4 A. Right.

5 Q. Then going to the 25th when there was a

6 discharge of 285,000 gallons.

7 MS. WIENS: It's number 7668?

8 MR. KRIENS: Right.

9 THE WITNESS: We're showing the

10 south lagoon one foot eight and one foot ten.

11 They don't show a -- they still got the north

12 big electric on there and they don't show a

13 reading on the north lagoon.

14 BY MR. KRIENS:

15 Q. Where was this taken from?

16 A. The north big electric would be running, so

17 that would be coming from the north.

18 Q. I mean as far as the hydrants.

19 A. Where it was flowing?

20 Q. Yeah.

21 A. I would have to look on the map.

22 Q. I guess what I'm trying to ask is if the north

23 electric was on still transferring to the

24 south, is that right?

25 A. Yeah.

- 1 Q. And so that was going on at the same time then  
2 that the hydrant was discharging out?
- 3 A. Correct. Then it says started putting water  
4 in the lagoon from west hydrant 24, so it was  
5 going into the west storm pond.
- 6 Q. What was going into the west storm pond?
- 7 A. The water. Not the south fire lagoon, but the  
8 west storm pond.
- 9 Q. Discharged out to land, and then you're saying  
10 after that it went to the west storm pond  
11 (indicating)?
- 12 A. That's why I want to see where hydrant 25 is.  
13 Hydrant 24 and 25. If they're together they  
14 were flowing to the west lagoon. Nothing says  
15 it's flowing to ground there.
- 16 Q. I'm trying to understand this one then, this  
17 says southwest hydrant Highway 25?
- 18 A. It's H-Y.
- 19 Q. H-y, I'm sorry. Would that be -- why would  
20 you -- would that be consistent for flowing  
21 ten minutes into the pond?
- 22 A. Well, yeah. Like it says here, flowing to the  
23 storm water lagoon, it doesn't say where the  
24 1205, where it's flowing.
- 25 Q. The 1205 is before that. It stopped at 1330,



1 and then it says 1345 began flowing to the  
2 lagoon. Prior to that it says, you know --

3 A. PO'ed it at 3172.

4 Q. Right, and you had that flow out the hydrant  
5 25.

6 A. Uh-huh.

7 Q. Then after that -- that says stopped 1330 and  
8 then after that you transferred it looks like.  
9 Is that correct?

10 A. Well, it's --

11 MS. WIENS: Did you write this?

12 THE WITNESS: No.

13 MS. WIENS: Do you know specifically  
14 what happened?

15 THE WITNESS: No.

16 BY MR. KRIENS:

17 Q. What I'm trying to get at, the information we  
18 were given is that it was discharged from the  
19 hydrants on land.

20 A. At the 1205?

21 Q. Yes.

22 MS. WIENS: Where did you get that  
23 understanding?

24 MR. KRIENS: From the information  
25 Koch gave to us.

1 MS. WIENS: From that summary?

2 MR. KRIENS: Right here

3 (indicating), yes. That was given to us in  
4 April, that those were discharged to land. I  
5 think at the time we talked to you about that  
6 we looked at this and it was part of the five  
7 or six or whatever you recall that occurred.

8 THE WITNESS: Right. The way it's  
9 written here they didn't identify whether it  
10 was to the lagoon for both of them, but the  
11 one does say lagoon.

12 BY MR. KRIENS:

13 Q. The way it's written, the 1205 shows the  
14 285,000 gallons stopped at 1330, and then it's  
15 written 1345 began flowing water to west storm  
16 pond lagoon, so I would read that as it was  
17 flushed to land and terminated at 1330 and at  
18 11345 began transferring.

19 MS. WIENS: You can read it and --  
20 you know, you can ask the people who wrote it.

21 BY MR. KRIENS:

22 Q. I would like to do that, too, but that's how  
23 it was given to us, presented to us.

24 MS. WIENS: Yes, and I can't explain  
25 it either, but I'm just -- he can do his best

1 interpreting that.

2 BY MR. KRIENS:

3 Q. When we did ask we specifically asked for  
4 incidents of flushing on land, and we talked  
5 about that and you recalled five to six, of  
6 which these were discussed at the time of  
7 being those incidents.

8 MS. WIENS: He didn't put that list  
9 together though.

10 MR. KRIENS: We talked to people at  
11 Koch here that put it together.

12 BY MR. KRIENS:

13 Q. The lagoon then, the stages --

14 A. First thing is the pump, it tells you which  
15 pump is running, the time it's checked and  
16 then the lagoon outage. And they normally put  
17 north lagoon and south lagoon so you know  
18 which one.

19 Q. Would this correspond to that transfer then,  
20 the 1340, is that what you're talking about?

21 A. The north big electric continued to say on for  
22 both of those.

23 Q. To transfer?

24 A. We had that fire pump running, so if it would  
25 have said south then we know we were pumping

- 1 out of the south. This says north, so we have  
2 north fire pump on.
- 3 Q. So you were transferring from the north pond?  
4 A. Pressurized the fire system from the north  
5 side.
- 6 Q. So you could transfer south or west?  
7 A. Well, if there was no transfer you just have  
8 back pressure controllers running and you were  
9 just circulating water back into the lagoon.
- 10 Q. Okay. So before those were three foot two and  
11 now one foot eight or so, is that right?
- 12 A. Also three, two and two (indicating).
- 13 Q. So the next day it was -- that would be the  
14 result then of the transfer I presume?
- 15 A. The change in the levels (nodding).
- 16 Q. The next day then, the north, is that shown  
17 there? I assume the north would be showing  
18 more?
- 19 A. It looks like 11 inches north, 8 inches north,  
20 1 foot ten south and one foot four south.
- 21 Q. So the north freeboard is increasing as a  
22 result of moving water out of there?
- 23 A. It was 11 inches and it still is here, then it  
24 went down to eight inches, so it's decreasing.
- 25 Q. I guess really the question I had was why was

1 the water released on land via the hydrants?  
2 I guess that's the question. Is the freeboard  
3 in the south pond, the three foot two and the  
4 two foot five, is that -- where should that  
5 normally be or where do you try to keep that  
6 at?

7 A. Because the south pond itself collects storm  
8 water, rain water, we like to keep a few feet  
9 in each one so we do have the capability of  
10 collecting all the -- if we have a two, three,  
11 four inch rain so we don't overflow those. If  
12 we overflow the sides, the southbound is just  
13 basically a big baggy sitting with earthen  
14 dikes, if we overflow that it's like washing a  
15 dam out, you lose the whole lagoon.

16 Q. Three foot would be quite a bit of freeboard I  
17 assume though?

18 A. They have dedicated levels, we can look at  
19 what the maximum is.

20 Q. What you want to keep it at?

21 A. Yeah.

22 Q. I think we have that.

23 A. I'm not really sure exactly the low and the  
24 high.

25 Q. Okay. So going to the 26th day, that was for

1           285,000 gallons. I think the copy I had  
2           showed it better. Well, I guess it didn't.  
3           Anyway, it says flushing hydrant north of --  
4           maybe you can interpret that better than I  
5           can.

6       A.     Flushing hydrant north at -- he's using that  
7           as a tank insignia, either tank 57 or 87.

8       Q.     Okay. What does that mean, tank wherever, to  
9           you?

10      A.     Just a location of a tank.

11      Q.     So would that be flushing on land then?

12      A.     If it was around a tank.

13      Q.     Was there a need --

14      A.     It doesn't even say north or south.

15      Q.     What's it give for the names there?

16      A.     Jerry Davern and Russ Hawkinson.

17      Q.     So that was the 26th during the night -- no,  
18           day shift. So flushing hydrant north, does  
19           north mean on the north end of the plant by  
20           the B5 or some other area?

21      A.     North of tank 57 or 87. I would assume we  
22           don't have a tank 57, so that would be 87  
23           there.

24                   MR. ADAMS:     Is that on the northwest  
25           corner?

1 THE WITNESS: Yes, inside the  
2 railroad tracks.

3 BY MR. KRIENS:

4 Q. Would that be taking it from the north pond  
5 then?

6 A. The south jockey is running 1640.

7 Q. Does that mean it's pulling from the south  
8 pond?

9 A. Yeah. We show a pump running in the south, so  
10 that would be drawing out of the south pond  
11 and a pump running in the north drawing from  
12 the north.

13 Q. Okay. How much flow would that represent in  
14 terms of freeboard in the pond, 285,000  
15 gallons?

16 A. The south pond?

17 Q. Yeah.

18 A. It's a 22 million gallon pond.

19 Q. Yeah, I was thinking it's a big pond. The  
20 question is if you remove 285,000 how much  
21 depth in the pond does that actually  
22 represent?

23 A. That's what I'm saying, it's broken down in  
24 inches and the pond goes like this  
25 (indicating), so it would depend on the level

1 of the pond.

2 Q. Do you know the acreage on that?

3 A. No.

4 Q. I'm wondering if that's going to make a big  
5 difference in the freeboard of the pond,  
6 285,000?

7 A. If I get the chart that shows what the inch  
8 is --

9 Q. Well, we probably can figure that out. I'm  
10 trying to get at that issue, if it makes a big  
11 difference discharging this water. If the  
12 purpose was to lower the storm water ponds,  
13 does that really make any difference at all in  
14 terms of safety issues?

15 A. It doesn't list what other activities are  
16 going on in terms of water use either. The  
17 staging is set for the height differential on  
18 the pond and so it's shown to be relieving to  
19 the south.

20 Q. Coming back to the south?

21 A. There's a back pressure control there. The  
22 pump runs at full pressure and what's not used  
23 out in the system then there's a pneumatic  
24 back pressure control set at a certain  
25 pressure that allows it go back down into that



1 pond.

2 Q. But on this occasion it went out to land by or  
3 near this tank apparently, tank 87?

4 A. Flushing hydrant north of tank, yeah,  
5 whatever, for 25 minutes. It looks like 25.

6 Q. Well, maybe 85. It looks like 2247.

7 A. Well, I'm not sure if that's 22 or 32 there.

8 Q. Okay. It has to be around that.

9 A. If it's 85 minutes it would be around three.

10 BY MR. ADAMS:

11 Q. Gary, I have a more general question. Without  
12 trying to figure out how much inches of draw  
13 down occurred on the south pond for a  
14 285,000 gallon discharge, are you looking at  
15 pond levels after you've discharged the  
16 285,000 gallons to see what the elevation is?  
17 You draw off some water discharge and come  
18 back and see how much has been removed and  
19 then decide okay, that's enough?

20 A. We have the safety health specialist go to the  
21 lagoons and monitor that, and they transfer  
22 water back and forth north to south. If both  
23 of them are full then they flow water. As far  
24 as them going and, you know, flowing 285,000  
25 and coming back and looking at the lagoons, I

1           couldn't say that for them, if that's the --  
2           you know going out there and -- you know, flow  
3           the water and then come back and looking at  
4           the levels. They're not monitoring it every  
5           two hours, they monitor it every six hours or  
6           if they're flowing they know the level is  
7           going down.

8           Q.     It's going the right direction?

9           A.     Right.

10          Q.     Your objective is to reduce the level at some  
11                 point to get the pond --

12          A.     To a comfortable level, right.

13          Q.     The way to do that is continue to pump out of  
14                 that pond and send it to the north one, you'll  
15                 keep doing that until you get to the elevation  
16                 with the proper amount of freeboard?

17          A.     Well, we have to keep the pump running, but  
18                 then if you want to keep the water circulating  
19                 at that lagoon you set your back pressure  
20                 control for that lagoon rather than having it  
21                 move to the north or the south. We can adjust  
22                 the back pressure control and it will go north  
23                 or south and then by starting and stopping  
24                 pumps.

25          Q.     And you make that decision based on the

- 1           elevation you saw in the pond?
- 2       A.     Right.
- 3       BY MR. KRIENS:
- 4       Q.     Do you know about how many acres it is?
- 5       A.     Not really.
- 6       Q.     This is real rough, but 3600 cubic feet per
- 7           inch, acre inch, at around seven and a half
- 8           gallons per foot cubed, it looks to me it
- 9           would be about 27,000 per acre inch. So if
- 10          you had ten aches you would be drawing down
- 11          270 -- if you drew down 270,000 gallons it
- 12          would be the equivalent to drawing an inch off
- 13          an acre pond. So that one is roughly how big
- 14          do you think?
- 15       A.     I don't know.
- 16       Q.     All right. We can do it later. I'm just
- 17           trying to get at that it doesn't sound like
- 18           it's a lot of water for the purpose of drawing
- 19           it down, it wouldn't translate down to much
- 20           freeboard. How big is the north pond?
- 21       A.     That's 12 million gallons total with 9 million
- 22           available. We have a standpoint pipe that
- 23           goes out off the southeast corner of it.
- 24       Q.     Okay. The last one then, the 27th, it looks
- 25           like that one is 2820 GPMs?

1 MS. WIENS: Number 7663?

2 BY MR. KRIENS:

3 Q. Right. For a total of 451,000 gallons. Would

4 you run through what's going on with that one?

5 A. The north electric is on. It looks like you

6 used one and a half feet for the north and in

7 the south you've got 8 inches.

8 Q. That would be the freeboard remaining?

9 A. Right, at 6:30 in the morning. Then at

10 11:00 a.m. they started the south jockey, and

11 we still had the north at one and a half and

12 the south at eight inches relieving to the

13 south. So they were pulling, drawing out of

14 the south lagoon.

15 Q. Okay. What does it mean then, water flowing

16 at the south flare area?

17 A. That would be the south end of the refinery,

18 the dead end main.

19 Q. Off the hydrant there?

20 A. Uh-huh.

21 Q. So that would be out to the land area by the

22 south flare area?

23 A. Uh-uh (nodding).

24 Q. And then shutdown hydrant, turn electric off.

25 So this was drawing off from the south pond

1                   when it says -- so that I understand it, it  
2                   says relieving south, meaning it's pumped out  
3                   of the south?

4           A.       Yes.

5           Q.       And at that point you had 8 inches of  
6                   freeboard?

7           A.       When the south pump is on and the back  
8                   pressure controllers set lower than the north.  
9                   It would be relieving back into the south  
10                  pond.

11          Q.       That one was 450,000 gallons. Are there  
12                   prints here that we could find perhaps today  
13                   how big the pond is?

14          A.       Sure.

15          Q.       Is it a three to one slope on the side, do you  
16                   know what that is?

17          A.       No.

18                   MR. VOYLES:     Eric is here and we can  
19                   ask him.

20          BY MR. KRIENS:

21          Q.       Okay, if it's easy to get, if not we can get  
22                   it later. I appreciate that because it helps  
23                   us to understand because some of this, as you  
24                   mentioned, is very cryptic in here, so it does  
25                   help to understand what's going on.

1                   Going back to the original issue, why was  
2                   it discharged on land during those three days?  
3                   Was it to lower the freeboard -- increase the  
4                   freeboard in the ponds because they were  
5                   getting full or was it for some other reason,  
6                   and why wasn't it discharged via the discharge  
7                   instead?

8           A.       With the 8-inch freeboard in the south lagoon  
9                   and leaving a foot and a half in the north, if  
10                  we were to take and flow a lot of water up in  
11                  the north part of the plant, or even the  
12                  southern part of the plant, if we had an  
13                  incident and flowed a bunch of water it would  
14                  return itself down the sewer system into that  
15                  south lagoon. With an 8-inch freeboard we  
16                  would end up overflowing that pond. It just  
17                  don't flow out, it's an earthen dike built up.

18          Q.       So if you had an incident and you had to use  
19                   water it would eventually go back to there, is  
20                   that what you're saying?

21          A.       Right.

22          Q.       And then it would overflow?

23          A.       At some point, right. It's going to go down  
24                   there and then actually end up overflowing the  
25                   lagoon itself. That's why we kind of set

1 limits on the high and the low that the guys  
2 go by.

3 Q. Why wouldn't they just go over to the  
4 polishing ponds via the north pond?

5 A. We don't control those levels, we just --  
6 waste water treatment plant controls how much  
7 water is sent to the river, we don't do that.

8 Q. Would they have come to you and notified you?  
9 Although safety is involved in managing the  
10 levels in those ponds, would they have come to  
11 you with a request to spray water out because  
12 the ponds were high or for some other purpose?

13 A. After January we had the criteria we could  
14 follow for flowing water.

15 Q. And that was measured?

16 A. That's why there's the entries you see there.  
17 Previously we would not have had any water  
18 amounts put in our log.

19 Q. I guess we'll need to look at that, what these  
20 flows represent in terms of actually improving  
21 the condition of the ponds to increase the  
22 freeboard, if it makes any difference or not.  
23 Maybe we can calculate that out and figure  
24 that out.

25 Would lowering the pond an inch or two

- 1           make a big difference? What I'm getting at,  
2           when you try to lower pond levels how far do  
3           you want to really lower it?
- 4       A.     We want to get it within our operating  
5           guidelines that has been set up.
- 6       Q.     Do you recall what those were?
- 7       A.     I can get those numbers. Like I say, I don't  
8           deal with this every day as far as running the  
9           pumps, starting and stopping, that's the  
10          responsibility of the people on shift.  
11          There's been criteria put out there to keep  
12          the levels for the amount of water we have in  
13          the north and south so we have enough  
14          available water for firefighting and we don't  
15          have too much to overflow.
- 16      Q.     At the same time this is going on was the  
17           water in the north pond increased in discharge  
18           to the polishing ponds, do you know?
- 19      A.     We don't keep track of the amount going to the  
20           polishing ponds.
- 21      Q.     If you observed in this case that the south  
22           pond showed eight inches of freeboard and you  
23           wanted to get it down to whatever level is  
24           prescribed to be safer, and you mentioned  
25           there is some level like that, would you first



1           instead of, you know, flushing out via  
2           hydrants, would you also ask the waste water  
3           plant if they could increase the discharge  
4           from B5?

5       A.    We haven't been involved with asking them to  
6           regulate their flow to the river according to  
7           what we do in the management of the pond.

8       BY MR. ADAMS:

9       Q.    Did you have any involvement with  
10           environmental in terms of then discussing with  
11           you how you are managing the spraying?

12      A.    The first involvement we had with  
13           environmental was in January when the ammonia  
14           criteria came up, so we had to -- that's why  
15           we have the numbers listed in the log.

16      Q.    You developed those guidelines then?

17      A.    Right.

18      Q.    Do you remember during the three-day period in  
19           February discussing the spraying with  
20           environmental?

21      A.    Well, that's where -- according to the  
22           ammonia, that gives us how much water could  
23           flow. That's why the amount of water is  
24           logged there.

25      Q.    There's a relationship between following the

1 concentration of ammonia and the relation to  
2 the guidelines used, there's some kind of  
3 formula?

4 A. Yeah.

5 MR. ADAMS: That's what I wanted to  
6 clear up. I don't think I have anything  
7 further on that.

8 (Whereupon, the interview concluded at  
9 2:45 p.m.)

10 \* \* \*

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

STATE OF MINNESOTA)

) ss:


COUNTY OF HENNEPIN)

BE IT KNOWN, that I, MILO BALLINGRUD, Court Reporter, a Notary Public in and for the County of Hennepin, State of Minnesota, certify that the foregoing is a true record of the interview of GARY ESTA, and reduced to writing in accordance with my stenographic notes made at said time and place.

I further certify that I am not a relative or employee or attorney or counsel of any of the parties or a relative or employee of such attorney or counsel;

That I am not financially interested in the action and have no contract with the parties, attorneys, or persons with an interest in the action that affects or has a substantial tendency to affect my impartiality;

IN WITNESS WHEREOF, I have hereunto set my hand on this 4th day of November, 1997.

  
\_\_\_\_\_  
MILO BALLINGRUD,  
Notary Public, Hennepin County, Minnesota  
My Commission Expires January 31, 2000.