
INTERVIEW OF:

TIM RUSCH

TAKEN NOVEMBER 18, 1997 AT 3:30 P.M.

MILO BALLINGRUD
EAGLE REPORTING SERVICES
2104 Glenhurst Road
Minneapolis, Minnesota 55416
(612) 920-3109

INTERVIEW OF TIM RUSCH, taken pursuant to agreement of and between parties at, Koch Industries, Inc., P.O. Box 64596, St. Paul, Minnesota, at approximately 3:30 p.m. on Tuesday, November 18, 1997 before Milo Ballingrud, Notary Public, County of Hennepin, State of Minnesota.

APPEARANCES:

Present from the Minnesota Pollution Control Agency:

DON L. KRIENS, P.E.

MARY L. HAYES

GREGORY BERGER

Present from Koch Industries:

JAMES K. VOYLES, Attorney at Law

Present from the law firm Green Espel:

SUSAN K. WIENS, Attorney at Law

I N D E X

EXAMINATIONS:

BY MR. KRIENS: page 6, 49

BY MS. HAYES: page 4, 29

BY MR. BERGER: page 41

KOCH JOB HISTORY: page 5

HYDRANT FLUSHING: page 18

AUDITING SYSTEM: page 32

OILY WATER TO NOWS: page 37

FACILITY SEWER SYSTEM: page 41

ENVIRONMENT GROUP PLANS: page 49

1 BY MR. BERGER:

2 Q. Tim, I have to read a little introduction that
3 we're doing for all personnel we interview in
4 this investigation.

5 Tim, as you know, the Minnesota Pollution
6 Control Agency is conducting a civil
7 investigation that is focusing on Koch Refining
8 operations and on a number of pollution,
9 environmental related issues that came to our
10 attention in April of '97, of this year. We are
11 seeking your cooperation in answering some
12 questions about these issues, and we want you to
13 know that at this time you are not obligated to
14 answer these questions, it is totally voluntary
15 on your part. The information we obtain in this
16 investigation may be used in a civil,
17 administrative or criminal enforcement action
18 against Koch Refining. I want to again
19 emphasize that this investigation is not looking
20 at any particular individual at Koch Refining at
21 this time, it's looking at the complete company
22 operations. Any questions about that?

23 A. No.

24 BY MS. HAYES:

25 Q. Tim, could you state for us your position and

1 give us an idea about your responsibilities, who
2 you manage and what your responsibilities have
3 been during your entire tenure here?

4 A. Okay. My name is Tim Rusch, my current title is
5 refinery manager and vice-president of Minnesota
6 operations. My entire tenure here goes back 16
7 years, so do you want to hear about all that?

8 Q. Just maybe an over sketch would be helpful.

9 A. Okay. I joined Koch in 1981 as a project
10 engineer, and over the next ten years had
11 various projects and project engineer and
12 project manager responsibilities. For
13 approximately two years I was manager of our
14 purchasing department, for approximately two
15 years I was manager of our maintenance
16 department. I spent a little over one year in
17 our corporate headquarters in a variety of
18 assignments. I've been back here as refinery
19 manager since May of 1995.

20 The responsibilities that go with that
21 role of refinery manager are that I am the site
22 leader for Koch Industries at this location,
23 responsible for all aspects of our operations in
24 the refinery and the surrounding Koch assets. I
25 have a staff of direct reports that has probably

1 varied from six to nine people over the course
2 of that last two plus years that I've been the
3 refinery manager. And, of course, they have
4 more specific responsibilities, whether it be
5 environmental manager, you've probably met Steve
6 David, engineer manager, project manager,
7 maintenance manager, those kinds of roles,
8 report to me.

9 MS. HAYES: Thank you.

10 BY MR. KRIENS:

11 Q. Maybe on that subject, so we understand that
12 better, if you could explain to us how the
13 different departments interact, you know, and
14 primarily we're interested in the ones we have
15 talked to, the environmental, the safety
16 department and the operations. I think it's
17 called operations. How they interact with each
18 other and who has the responsibility for
19 decision making in terms of environmental
20 activities or whether this thing is done or
21 whatever, how that works.

22 A. You have an org chart in front of you, and can I
23 ask what the date is on it so I know what you're
24 looking at?

25 Q. This one is January 10, '97.

1 A. Okay. Your question was how the various groups,
2 and I think you mentioned safety, environmental
3 and operations, how they interact, is that the
4 first part of the question?

5 Q. Uh-huh.

6 A. Those groups interact, obviously, as a team that
7 is responsible for a certain aspects of our
8 business. Now there are in some cases, you
9 know, clear roles and responsibilities, that
10 operations does this and environmental does this
11 and safety does this, but as you can imagine,
12 with most operations those need to work
13 together. You mentioned operations, at the time
14 Jim Jacobson is listed on here, as manager of
15 environmental it's Steve David and safety was
16 Larry Barnett. So those folks are part of the
17 refinery leadership team. Again, they have
18 specific roles and responsibilities and the
19 expectation they will work together with the
20 other groups to handle situations where one
21 individual or one specific group doesn't have
22 all the knowledge or such as required to make
23 that decision.

24 Q. Okay. Does environmental -- you know, in terms
25 of taking an example, we have talked here at

1 length with various people about the use of the
2 hydrant system to discharge waste water, we
3 talked about overflows from the oily water to
4 the non-oily water sewer that has occurred quite
5 often in the past few years, spills from the
6 north fire pond in particular and a couple of
7 other cases. Does the environmental department
8 have decision making authority then to let's say
9 order that hydrants discharge waste water or
10 order that the oily water sewer problem be
11 corrected? Who has decision making authority to
12 resolve -- to order that things be done in those
13 areas?

14 A. The decision making needs to rest with folks
15 with the best knowledge, I guess that's the way
16 I would begin my response. And in many cases
17 our environmental group, because of their
18 knowledge of the regulations, their knowledge of
19 the permits, their knowledge of discussions that
20 they've had with the agencies and such, have
21 important knowledge that comes to that decision.
22 Now, our environmental group for the most part
23 does not go out and open and close valves and
24 turn equipment on and off and that type of
25 thing, so as such they are really an advisor to

1 the folks who do that work, which is
2 predominantly in the cases you described our
3 operating and safety groups.

4 Our operations group ultimately are the
5 folks who are out there opening and closing
6 valves, starting and stopping equipment.
7 They're well trained and very knowledgeable, yet
8 when you get into more technical or -- when you
9 get into technical issues they need to go and
10 find folks that have the knowledge. Sometimes
11 it's the environmental group, sometimes it's our
12 engineering department or whatever. We expect
13 that when an issue would come up that is
14 technical in nature and that the operating group
15 doesn't have all the knowledge necessary to
16 maybe make a decision, that they would bring in
17 the knowledge as necessary. So they would
18 consult with the environmental group or
19 whatever. We expect that folks are going to,
20 you know, think through issues and come up with
21 the correct decision. There's not always an
22 answer, but they're going to come up with a
23 decision that is consistent, you know, with our
24 safety and environmental policies and work
25 though that accordingly.

- 1 Q. So if they have a question then and they don't
2 know whether it -- if they should -- what they
3 should do about some certain issue
4 environmentally, speaking hypothetically, then
5 would they consult the environmental department
6 or others that would have knowledge, is that
7 what you're saying? Or they should do that?
- 8 A. You said they, and I'm not sure who you mean.
- 9 Q. Well, maybe like the operations people, the
10 people that turn the valves or the safety
11 people. If they don't know whether they should
12 pump water out of this pond, get rid of it on
13 land, or if they don't -- to use that as an
14 example, then is it their -- is it the procedure
15 at the refinery then that they should consult
16 with the people that do know or should know
17 generally?
- 18 A. Your example, you mentioned pumping water and
19 getting rid of water, and I don't understand
20 your example.
- 21 Q. Maybe I'm getting ahead of it, and I'll get to
22 that. Maybe we'll just go there directly. I
23 have questions on that, but I just thought about
24 a general question, how things work, the
25 relationships between the different departments.

1 I think I understand what you're saying, so that
2 sounds fine.

3 I want to ask you about -- we talked to
4 Brian Roos the other day, yesterday, about some
5 problems at the plant, ammonia issues and that
6 sort of thing. I wanted to ask you in general
7 how things work in a refinery just for our
8 education to some extent. You know, if you have
9 process units, let's say like a crude
10 distillation or catalytic cracker or something
11 like that, a unit, and I assume, and correct me
12 if I'm wrong, that you want to operate those at
13 a certain efficiency to get the production
14 levels that you want. Is that the way it works?

15 A. Sure.

16 Q. So if you get one of those units, like a
17 catalytic cracker or a crude oil fractionation
18 or something of that sort, de-salter, whatever,
19 and you have an efficiency of normal operation
20 and you notice that that drops 50, 60, 70
21 percent, a significant amount. What's the
22 company procedure generally in those cases?
23 What do you do?

24 A. You're asking a very general question.

25 Q. Very general. Well, let me put it more

1 specifically. Let's say a heat exchanger in the
2 crude oil distillation part of it is not
3 functioning and you're not getting -- it's not
4 working right so you are not -- you can't get
5 the distillation to occur at the efficiency that
6 you want. And how do you respond to something
7 like that?

8 A. A case where a piece of equipment isn't working
9 up to specification is what you're asking about?

10 Q. Right.

11 A. Well, we know our equipment fairly well, so
12 we -- it normally operates within a relatively
13 tight band of operation. And so if we see
14 operation outside of that obviously we want to
15 restore it to its normal operating condition.
16 That can be -- that deviation in performance can
17 be observed in many ways, sometimes it might be
18 picked up by our computers, sometimes it might
19 be picked up by observation of personnel in the
20 field, sometimes we might notice it when we do a
21 lab analysis on a particular piece of equipment.
22 In general we'll find out about a deviation from
23 expected performance in any number of ways.
24 There is no fixed procedure as to how we do
25 that. The expectation that we have of all of

1 our folks is we are going to efficiently run the
2 refinery. So in general what we would do is we
3 would do a root cause analysis, try to
4 understand what's causing that deviation from
5 where we would expect and get on a path to fix
6 it. Sometimes our fixes are relatively simple
7 and there's a cleaning procedure or some type of
8 maintenance procedure we could do. Sometimes if
9 a piece of equipment isn't performing up to
10 snuff we have to take it off line and open and
11 inspection and check it out.

12 It's hard to give a fixed procedure as to
13 how we do it, but we want all of our equipment
14 to be running as specified all the time. So
15 when we observe performance outside of that we
16 get it back in line.

17 Q. Do you try to -- is it something you try to do
18 right away? I mean, is it typical that you
19 would try to tend to that quickly within a few
20 days or weeks or a month? What's the time frame
21 which you would find acceptable for a
22 malfunction?

23 A. The time frame that I would find acceptable
24 would be as dictated by the criticality of that
25 equipment, whether it was, you know, critical to

1 safety, critical to environmental, critical to
2 efficient production. Obviously some observed
3 nonperformance is more critical than others, and
4 so we prioritize our work according. You threw
5 out examples from immediately up to several
6 months, and any one of those may be the right
7 answer depending on the criticality of the
8 equipment and what affect it has on our safe,
9 environmental efficient performance.

10 Q. If it was a cracking unit or de-salter would
11 that something you would want to tend to fairly
12 quickly or is that something that can go for
13 months and months?

14 A. Again, that's a pretty generic question.
15 Obviously within every part of our operation,
16 whether it's a cracking unit or a de-salter or
17 whatever, there are critical pieces of equipment
18 and there are some not so critical. It's a real
19 broad question and hard to give a real detailed
20 answer to it.

21 Q. Right, yeah.

22 A. We need to analyze each individual case against
23 what our -- you know, what our performance is
24 that we're missing. We, again, need to look at
25 safety, environmental and efficiency and work

1 from there.

2 Q. Do they have equivalent priorities, safety,
3 environmental and production, or are there
4 differences in the tier of priorities according
5 to the issue?

6 A. Yeah, we have a tiered priority. Our first
7 priority is safety of people and safety of the
8 environment. The next priority is production.

9 Q. When we were talking about the sour water
10 strippers, I assume the sour water strippers are
11 something -- I mean, I know the sour water
12 strippers are used prevalently in refining
13 operations, it's a common unit, and I presume
14 that Koch has a fair amount of experience in
15 their operation. Would that be the case?

16 A. Yes.

17 Q. And the strippers, from the day we received
18 it -- and as you know Barr Engineering did a
19 study for you which was submitted to us, showed
20 that during '96, especially beginning in about
21 June of '96, through this past spring to about
22 May, it was corrected in May. The strippers
23 were sending, you know, very high loads to the
24 waste water plant and they weren't operating
25 efficiently. The efficiency drop was rather

1 significant. And so when I look at that time
2 frame, that's about nine or ten months, it seems
3 to me, and I just wanted you to respond to that,
4 why -- the question is why did it take so long
5 for that to get resolved?

6 A. The sour water strippers, again, there are
7 several of them as you are aware, it's not that
8 we didn't address them, it was that we struggled
9 to get to a root cause of the problem.

10 As with anything else, sometimes you can
11 find symptoms for a long time before you really
12 understand root causes. So when we observed
13 what I guess I'll call a statistically
14 significant deviation in performance, I believe
15 you've seen our control charts and such that
16 shows how we keep track of performance of
17 various equipment, when we observe that we
18 undertook, you know, a root cause analysis to
19 try to understand where the problems were and
20 then to detail a fix to get them back in line.

21 Q. Do you know when that began, the root cause
22 analysis?

23 A. I couldn't specifically say, you know, when we
24 were working that.

25 Q. We became involved because of our inspection in

1 April of this year, and then we did receive a
2 report, I believe in May, which -- and I recall
3 the root cause analysis summary and discussion.
4 And I'm just wondering if that was done at that
5 time or when that was developed, if it was in
6 May of '97 or if it was before?

7 A. I wouldn't be the best one to answer that.

8 Q. Okay. Does that seem like a long time to you to
9 get to a root cause problem, a nine, ten month
10 period?

11 A. Does it seem like a long time? I guess, yes.
12 But in hindsight almost all problems are pretty
13 easy to fix when you're struggling with them.

14 Q. I understand. We deal with --

15 A. It's not that you want things to drag out, it's
16 just sometimes it's hard to get to the root
17 cause.

18 Q. Yeah, okay. I think the root cause in this case
19 was primarily, as I understand it, a hardness
20 issue causing scaling and build up of scale on
21 the surfaces of the trays in the stripper, which
22 reduced their efficiency. That's what I
23 understand was the issue, we've been told
24 anyway. And it sounds reasonable. This is a
25 concern with us, that it did take so long to

1 resolve an issue that in our view seems to be
2 relatively simple in terms of efficiency of that
3 type of unit. Then again, we don't run a
4 refinery either, so I'm not saying we know
5 everything at all. I just wanted to bring it
6 up.

7 The reason I ask about this is that when
8 we've looked at all the information, when we
9 were here in April which asked for the
10 documents, did our inspection and had about ten
11 issues or so that we wanted to look at. We were
12 looking at -- and some of these were the result
13 of complainant allegations that we were
14 basically following up, but that's why we were
15 here in the first place at the time. And we
16 didn't have any reason other than that at the
17 time to come, but citizens or people make
18 allegations and we try to follow up and see if
19 it has merit or not. At the time we did learn
20 prior to that, in January of '97, that through a
21 call from your staff and environmental, Heather
22 Faragher, that a hydrant was discharged, waste
23 water from the north fire pond to this low area,
24 runoff pond that it's so-called here. We were
25 called then because it was determined from

1 testing that it exceeded a reportable quantity.
2 In that case it was ammonia exceeding I believe
3 a hundred pounds. In our inspection we wanted
4 to follow up on that and look at that site, and
5 we wanted to know what went on with those
6 discharges. During the inspection we asked
7 about the discharges of the hydrants. In fact,
8 specifically I asked why was it done and I was
9 told it was to get rid of water in a general
10 way. Then we asked if there were other releases
11 of that nature and we were told at that time
12 they didn't know, this is the environmental
13 department, they didn't know if there were
14 others, that the safety department took care of
15 that. So we went -- just putting it in
16 perspective, we went to the site where the
17 January 4 release occurred and we asked that the
18 safety people, Gary Ista and I believe Chris
19 Rapp at the time, to join us there. And we
20 asked them if there were other releases and they
21 said yes, there were. Pardon me, we didn't ask
22 them at that time if there other releases, we
23 wanted to know how the system was normally
24 flushed for safety purposes, winterization, we
25 were told it was done in the fall and, you know,

1 generally how that operates. Later that day we
2 did ask Gary Ista in an interview, we asked him
3 were there other releases of this nature and he
4 said yes, there were. He believes five, I think
5 is what he said.

6 Then subsequent to that we obtained the
7 documents from Koch, which were all provided to
8 us, and went through them all and determined in
9 part from the operating logs from the waste
10 water treatment plant, and in part from the
11 safety department logs, that there were other
12 releases, a number of them, the five or so and a
13 few other ones. Then we plotted these out, and
14 so that's why I wanted to talk to you in general
15 about this hydrant release of waste water issue,
16 and specifically a few cases.

17 Maybe you know of those or not, but we're
18 interested in why those occurred generally. The
19 connection with the sour water stripper is, as
20 you know, it put a lot of high ammonia to the
21 waste water plant for the period of time in '96
22 through May or April of 1997. Particularly it
23 began to impact the plant, it appears, in June
24 of '97. And the Barr report --

25 MS. HAYES: Let me stop you for a

1 second. June of '96?

2 BY MR. KRIENS:

3 Q. It began in June of '96, I'm sorry, extending
4 through this spring when we were there. The
5 Barr report discusses in their analysis of the
6 ammonia removal ability of the waste water
7 plant, they state that during this period,
8 specifically beginning mid 1996, that the
9 ammonia load to the plant exceeded the design
10 capability of the plant to remove ammonia.
11 Their estimate was that -- their analysis
12 concluded that around 5 percent of the time or
13 less that the facility was unable -- would have
14 been unable to meet the affluent standard for
15 ammonia. That doesn't mean necessarily that it
16 was exceeded, you know, because it's a
17 theoretical analysis and it doesn't always
18 account for all the factors necessarily in
19 ammonia removal, but it does suggest to us there
20 was a very significant problem with the ability
21 of the plant.

22 So what we're wondering, you know, when I
23 mention the stripper and we're looking at this
24 and we're wondering what went on basically. Let
25 me get more specific. We took that loading of

1 the influent pound per day of ammonia to the
2 waste water facility, the influent load of
3 ammonia, and starting somewhere in about June,
4 July it starts to peak up a little bit.
5 According to the data we have, or the document,
6 it shows that June 18 and 19 of '96 there was a
7 release of waste water to the land areas via the
8 hydrants. In our view we don't see that that as
9 a permitted discharge in accordance with the
10 NPDS permit, the National Prudent Discharge
11 Elimination System permit. I'll jump up ahead.

12 In November, the loading in November of
13 '96, the ammonia loading, started to really
14 increase considerably. You'll see November the
15 load was 1,210 pounds per day average, and in
16 November 3 and 4 there was a release of -- a
17 discharge via the hydrant system, and I'll talk
18 more specifically about it later. Then again
19 November 16 to 17 of '96 there was one,
20 January 4 of '97 there was one, and then
21 February 25, 26 and 27 of '97 we had three in a
22 row toward the end of that month and then one in
23 March, the 26th of '97.

24 The one that causes us probably the most
25 alarm initially when we looked at this data was

1 the November 3 and 4 one (indicating). At that
2 time you'll note it also received a very high
3 load of ammonia. It was the second highest
4 detail load of ammonia during this whole period
5 that was evaluated. And that same time during
6 the evening the hydrants were discharged during
7 the night, discharging waste water. This goes
8 through a chronology of events that we have
9 pursuant to these logs we've looked at.

10 On October 24 of '96 Heather Faragher
11 wrote a memorandum to various staff, including
12 waste water operations and operation staff and
13 others that notified the staff that a Bioassay,
14 which is the whole affluent toxicity testing
15 done at the affluent to the polishing ponds
16 which discharges to the river, will be conducted
17 beginning November 4 when samples were scheduled
18 to be collected.

19 On November 2, jumping up ahead, an
20 operating log states that specials were sent to
21 a lab for TSS and that the flow from the waste
22 water plant to the polishing pond and hence to
23 the river was cut or reduced to less than three
24 units. When this is done water backs up into
25 the north fire water pond. That's the only

1 place it can go at the time. On November 3
2 there's a log that states -- and this log is
3 from 1700 to 1900 hours, there were special
4 analytical testing done on the S7, which is the
5 discharge sump of the waste water plant, for TSS
6 and ammonia. The results demonstrate that the
7 ammonia was high at 110 parts per million and
8 TSS was 72 parts per million. Also this log
9 states that they drop off a copy of Heather's
10 letter to the shifties for toxicity sampling and
11 testing starting Monday, November 4, and it also
12 states they cut flow to the river to 1.7 units.
13 That's equivalent to about, I believe, one
14 million gallons. And typically the discharge is
15 3.5 million gallons.

16 So by those numbers I'm assuming, and it
17 was fairly accurate then, about two and a half
18 million gallons a day is backed up into the B5
19 pond or the polishing -- the fire water ponds.
20 Then there are other memos, but one on November
21 3 states, from Dave Gardner, they're limiting
22 flow to the river to two units, I hope these
23 moves prove sufficient in light of tomorrow's
24 annual toxicity testing.

25 And then on November 3 a log states

1 safety to open three hydrants in west tank farm
2 on ground to help get rid of water. Our
3 understanding from talking to people involved
4 with this, Ruth Estes and another person, was
5 that this occurred, and the log states beginning
6 at 7:00 p.m. that evening, Sunday evening, and
7 the Bioassay was scheduled to begin the next
8 day. So given this situation where you have a
9 very high load of ammonia the day of the
10 testing, and the night before the testing the
11 hydrants were discharging waste water on land
12 because the ammonia was high, the question we
13 had is why was that done. It leads us to the
14 question or suspicion that perhaps it was done
15 to circumvent the Bioassay testing. And that's
16 what we're trying to determine. I guess the
17 question is do you know anything about that?

18 A. No.

19 Q. Okay. It took me 15 minutes to get there, but
20 that was a quick answer. That's my conclusion
21 only. What I'm trying to just relay to you is
22 that when you put these together we see this
23 high load and we see the discharge during the
24 night and a Bioassay is beginning the next day,
25 in fact, it's actually deferred, delayed then

1 for a week, and we're not sure why. We have to
2 talk to Heather Faragher about it. But it looks
3 like, you know, a bit odd I guess from our
4 perspective. So we were just wondering what
5 went on.

6 A. I don't have any specific knowledge of the
7 details of those decisions.

8 Q. Okay. When it says safety to open three
9 hydrants, is that what we talked about earlier,
10 this might -- would that be a consensual -- Ruth
11 Estes we believe was involved with the actual
12 decision making of deciding to discharge that
13 water. Is that something that normally she
14 should or would talk to environmental or the
15 operations managers or whoever to get
16 authorization to get that?

17 MS. WIENS: She was a shiftie at the
18 time, maybe --

19 MR. KRIENS: She was, right. She
20 was a shift supervisor at the time and this was
21 a weekend, so she was on duty at the time there.

22 THE WITNESS: In general, again, I
23 would expect that Ruth would for the most part
24 have the knowledge to make decisions that come
25 up during the course of her shift coverage. And

1 I would likewise expect that if she ran into a
2 situation that she didn't have enough knowledge
3 that she would call and get the proper help. As
4 far as the -- you know, you kind of specifically
5 asked is this the kind of decision where she
6 would ask for permission or ask for other help,
7 you know, I don't know. That depends if she
8 felt she had the right knowledge to make the
9 decision at the time.

10 BY MR. KRIENS:

11 Q. Uh-huh, yeah. Let me talk about one other one
12 as well. In February it mentions on the 25th,
13 26th and 27th there were three days in a row
14 when the hydrants discharged water. During this
15 month there was also real high ammonia loading
16 at 1,343 pounds per day influent. The discharge
17 monitoring report that we received shows that
18 the ammonia was right -- the monthly average was
19 very close to the permitted limit. So the
20 question we had to other staff previous is was
21 this water then discharged via the hydrants in
22 order to allow the permit limit not to be
23 exceeded. And I guess the question in this case
24 is do you know anything about that situation?

25 A. No.

- 1 Q. In these types of issues, if they came up does
2 Steve David or his department or people within
3 it, do they normally go up and consult with
4 management to find out how this should be done?
- 5 A. Normally, I think that's the word you used,
6 normally the types of decisions that come up to
7 myself or the other top managers here are seldom
8 the day-to-day decisions regarding operating the
9 plant, they're usually more broader or more
10 strategic type decisions. Not knowing -- you
11 know, generically it's hard to answer that
12 question because obviously I get all sorts of
13 questions on a given day. Very seldom are they
14 about specific operating moves within the plant.
- 15 Q. How about in terms of a general overall strategy
16 then dealing with this issue, where the ammonia
17 was a difficult problem at the waste water
18 plant, and as a strategy of resolving that or
19 dealing with it by the hydrant system, was that
20 discussed?
- 21 A. By who would have to be my question.
- 22 Q. You know, in the management level here with your
23 managers, with you or internally.
- 24 A. Okay. As far as my awareness of issues around
25 the hydrant systems and the concerns that the

1 PCA had expressed, I became aware of those after
2 the fact. Of course then I was informed of the
3 dialogue, the letters and such that had gone
4 back and forth, but that was after the fact.

5 Q. Okay. That's what I was wondering, and we'll,
6 I'm sure, continue to debate that in the future
7 probably. But that's fine. I appreciate your
8 answers.

9 BY MS. HAYES:

10 Q. Tim, are you aware of the decrees that Koch and
11 the state of Minnesota and the environmental
12 protection agency and environmental groups
13 signed in '89? Are you aware of this
14 (indicating)?

15 A. Yes.

16 Q. Are you aware that there's penalties, future
17 penalties provisions in here, for like violating
18 the affluent limits for ammonia going to the
19 river?

20 A. Yes.

21 Q. Like for a monthly average for example?

22 A. I don't know --

23 Q. Or is it daily?

24 A. I don't know the real specifics of what -- you
25 know, of the penalties and permit. I have a

1 general awareness of that decree and what its
2 provisions are.

3 Q. Okay. Well, specifically, the provision for
4 violating a monthly average of for example
5 ammonia would be -- it comes to a \$30,000
6 penalty. I guess, you know, given what Don just
7 laid out for you and these flushings at the end
8 of the month, the flushing at the end of the
9 month in February, there's three of them, we
10 know that the loading on those days were high.
11 I think that that's repeated in February here,
12 for the last -- well, with the exception of the
13 very last day, the last days of the month, we
14 have that happening again in March. You've got
15 significant loadings there, too, 14, 15 a day.

16 I mean, do you see our issues? Do you
17 see what this brings up to us as issues, the
18 possibility that there's a spraying of the
19 hydrants to the ground rather than putting the
20 water through the designated outflow and as
21 specified in the permit, and that one possible
22 motivation for that could be that you are under
23 the situated penalties in the consent decree?
24 Do you see our concern?

25 A. Yes. It was kind of a long question, but, you

1 know, I'll acknowledge that you are
2 communicating to me that you are speculating
3 there's a connection between our -- some of the
4 actions we took using the hydrants and
5 requirements of the consent decree.

6 Q. We just feel compelled to bring it up because
7 we're under this consent decree and it's still
8 open.

9 A. I understand that, you are expressing that
10 concern.

11 Q. Okay.

12 BY MR. KRIENS:

13 Q. Just a general statement or question. Was
14 the -- you know, was it ever discussed
15 internally that this would be a good alternative
16 way of dealing with problems, to use the hydrant
17 system, you know, to dispose of water or waste
18 water? I mean, to discharge it out via that on
19 land as opposed to the normal discharge?

20 A. No, not that I'm aware of. Again, I became
21 aware of that after the fact and after the
22 dialogue was underway with you all.

23 MR. KRIENS: Okay, thanks a lot.

24 BY MS. HAYES:

25 Q. I just have a question, it's really a general

1 question, but I think it's probably a good one
2 directed to you in your capacity.

3 Last Friday the Minnesota Pollution
4 Control Agency sponsored its first annual
5 industrial waste water treatment seminar or
6 school sort of thing that is analogous to the
7 longstanding program we have for municipal waste
8 water treatment operators. And Paul Leadman, do
9 you know Paul?

10 A. Yes.

11 Q. He spoke at that seminar. I had a chance to
12 listen to him talk, and it just raised for me
13 some general philosophical questions that came
14 up, because I thought -- actually I thought his
15 talk was very good. And I was sitting with some
16 other people from industry that I knew, and I
17 think that he did a really good job, a really
18 good overhead. He used like one or two huge
19 words in there, if you could read it sitting way
20 back there. The first overhead said something
21 like get a plan and the next one was get with
22 the program. And where he was going with that
23 was the idea of a corporate environmental
24 compliance plan or whatever you want to call it,
25 environmental management compliance plan or

1 whatever. And he said, you know, you need to be
2 in touch with what the regs are and you need to
3 have a plan, and included in that plan would be
4 internal auditing. And then he went on to talk
5 about regular periodic systematic auditing, is
6 he was talking about. I worked on the audit
7 program for the agency for developing the policy
8 and then also for getting into the law.

9 And then he went on to reference the DOJ
10 policy on enforcement, and then that also that
11 goes into the policy on auditing again. And it
12 really led me to the question, which is kind of
13 a touchy one, I'll acknowledge that, because,
14 you know, we struggled a little bit with the
15 idea that we want people to feel like they can
16 be comfortable in doing audits but that we're
17 not going to come and ask you for them. So I'm
18 not here to ask you about -- I don't want to get
19 an audit from you, but it did really raise the
20 question for me about having conducted all these
21 interviews and to kind of bring this all to some
22 culmination and seeing some problems here, and I
23 think you -- I think at this point you would get
24 some agreement that there are some issues here
25 that are -- they're problems. And one of the

1 problems that I see is that there's been --
2 well, I'm not going to say that your
3 organization isn't put together right, but
4 there's some problems it seems like with some
5 accountability across lines. And I think that's
6 always true, so I don't think that's specific to
7 Koch, but I think that's what we've seen. And I
8 had to ask myself if you were -- you know, if
9 that's a practice you are involved in, an
10 internal environmental auditing program
11 compliance, management program. I mean, having
12 an attorney that represents Koch speak really
13 begged that question. It's something that I
14 just kind of want to ask you. Do you have a
15 plan in place like that, the one he was talking
16 about?

17 A. When you said you did you mean me personally or
18 Koch?

19 Q. I mean Koch. You speaking for the company.

20 A. Okay. Now I forgot the question.

21 Q. It's a long winded one. Boy, it's getting late.

22 A. If your question was philosophically do I
23 believe that we should be doing internal
24 auditing to improve accountability and to
25 provide the appropriate level of supervision or

1 hierarchy or whatever you want to call it, I
2 would say yes. I believe that -- I mean, we
3 want to hire people who are very capable and
4 then we train them and let them understand --
5 make sure they understand what their constraints
6 and their requirements and the laws and rules
7 and everything that governs them. But yet I
8 don't think that's enough. You know, you need
9 to spot check or audit. That includes
10 environmental and safety and other aspects of
11 our business. I think another part of the
12 question was do we need a plan.

13 Q. Do you that have?

14 A. First of all, we have a plan to comply with all
15 of the rules and regulations that are with us.
16 It's not even a plan, it's our policy. That's
17 our principle number one, that's how we're going
18 to do business. Secondly, do we use audits and
19 such to reinforce that and to bring in that
20 accountability? I would say yes.

21 Q. Did you ever consider getting into our
22 environmental improvement planning program and
23 submitting those permits so that -- I mean, have
24 you looked into that at all? Again, I know I'm
25 walking a line here a little bit, and I don't

1 want to be too pushy about it, I just -- for
2 example, Ashland has, Ashland was one of the
3 first people that got involved with that.

4 A. You said you again, and this time I have to say
5 for Tim, Tim Rusch is not specifically aware of
6 that opportunity within the MPCA. Whether Koch
7 has looked into that I really can't say.

8 As far as our being out front and trying
9 to, you know, not only comply, but to go beyond
10 compliance, you know, we have -- I'll say it
11 unofficially, you know, we have volunteered to
12 be the pilot case for Goal 21 for example with
13 the MPCA. We appreciate the value in, you know,
14 first an out front cooperative relationship to
15 try to, you know, not have -- minimum compliance
16 is not our goal, and that is some folk's goal,
17 they want to minimally comply. We want to go
18 beyond that, so we have volunteered to be part
19 of Goal 21 and some of those types of things.
20 The program that you were specifically
21 mentioned, I was not aware of that one, Mary.

22 Q. Okay. Yeah, one of the primary qualifiers for
23 getting into the program is that the audit needs
24 to be submitted to the agency, which is
25 different from other states because that's the

1 only way that the permittee or the entity can
2 realize the benefits from that, which is, you
3 know, with a few qualifiers, amnesty from
4 penalties for violations.

5 Anyway, I just thought I would mention
6 that because it just came sort of screaming at
7 me when I was listening to him talking. I guess
8 the other issue I would like to real quickly
9 talk about is he mentioned -- and I think he did
10 a real good job on this talk, but he mentioned
11 the idea that -- something like this I'm
12 definitely paraphrasing, that there not only
13 needs to be, you know, a lifting of
14 disincentives or a negative reinforcement for
15 employees and staff to come forward and talk
16 about issues, but there needs to even be some
17 incentives put in place for that kind of open
18 forum for employees. Something that I've
19 observed here, and again, I don't know if it's a
20 communication issue or what it is, but we would
21 see in our paperwork and our documents that
22 there would be suggestions made about fixing a
23 problem that was chronic. The one that I'm
24 talking about right now specifically is the oily
25 water sewer going into the non-oily water sewer

1 because you've got too heavy of flows coming
2 from the coker ponds for several reasons. And
3 that went on as far as we have documentation
4 for, probably back to the beginning of 1994.
5 There are -- there's stuff in here through the
6 years and during the course of this time that
7 sort of indicates there's a tone in the logs and
8 there's a tone in memos that sort of says the
9 problem still isn't solved, you know, here's a
10 couple of suggestions. It doesn't look to us
11 like those suggestions were ever acted upon. It
12 seems odd to us that a problem like that would
13 have been allowed to go on for a period of time.

14 I guess what I'm wondering is when Paul
15 is talking about making a suggestion that
16 there's an open forum, there's kind of this
17 philosophy that people can come forward and
18 they're going to be really heard, and not only
19 is the suggestion going to be heard, but they're
20 going to be -- they might even get rewards for
21 that kind of thing. I would like to hear your
22 comments about that and how we can reconcile
23 that with what we have seen here. Do you have a
24 comment about that? And I know this is stuff
25 you don't deal with day-to-day, but you must

1 some sense for that generally.

2 A. Again, in general I agree 100 percent with what
3 Paul is saying. We want to make sure that all
4 of our employees, whatever their role, that
5 their goals or their incentives, whatever you
6 want to call them, are in line with what our
7 overall goals want to be. When I see examples
8 where that doesn't seem to fit, that doesn't
9 match our program, I mean, we want to have our
10 people, whether it's me or the newest guy we
11 hire today, understand what our goals are, what
12 our policies are and then be able to perform in
13 accordance with those. If they see or believe
14 that there's a potential to have a problem, to
15 bring it out up front. We, I think --
16 philosophically I think you said you believe
17 that it's better to get problems addressed
18 before it happens than after. I agree with you
19 a hundred percent.

20 The vision that we have going forward is
21 that everybody behaves that way. Does it always
22 happen or has it always happened in the past? I
23 can't say that it always has because it's hard
24 to always get that -- I was going to say 100
25 percent alignment, and it's probably difficult

1 to have 100 percent alignment, but it's
2 difficult to have everybody understand where you
3 want to go and always perform that way. But,
4 you know, that's the goal, that's where we want
5 to be.

6 Q. Any idea about why these chronic problems
7 continued, you know, the one that's
8 acknowledged? I think we have acknowledgment we
9 had a problem with the oily water sewer going
10 into non-oily water sewer which ends up in the
11 storm ponds, which ends up sometimes on land or
12 over that -- over the north side. Why was
13 that -- what's the breakdown there?

14 A. I don't have the specific details, Mary, of that
15 problem.

16 Q. That's just an example.

17 A. Yeah. Like I said, I understand when you bring
18 together all of these and look back you were --
19 you're acknowledging it looks like we could have
20 and should have done something in order to
21 prevent that. I might come up with the same
22 conclusion were I to review a specific problem.

23 Once again, that's not how we want to
24 have things go. We want to have things -- we
25 don't want to have problems because we want to

1 have everybody with the knowledge and decision
2 right up front and prevent details from getting
3 out of hand or small problems becoming bigger
4 problems. That's good business and it's
5 consistent with a good safety policy, it's
6 consistent with a good environmental policy, and
7 it's just flat out good business, to not have
8 problems, issues.

9 MS. HAYES: I appreciate your
10 comments.

11 BY MR. BERGER:

12 Q. Tim, I have two issues that I briefly want to
13 talk to you about. I represent the hazardous
14 waste division at the PCA. These two issues are
15 ones that we've talked about extensively in
16 these interviews.

17 The first one has to do with the oily
18 water sewer system here at Koch Refining. It's
19 my basic knowledge that a lot of water is used
20 in this refinery, in any refinery, to produce
21 the products you do. Like in the initial step
22 where the crude comes in and water is used to
23 mix with oil to remove salt, and there is a lot
24 of waste water that's generated here, and the
25 oily water sewer system is used for disposal of

1 that waste material. And that's fine, that's
2 what it's there for, but through this process of
3 reviewing memos and waste water treat plant logs
4 that we obtained and we requested and Koch sent
5 us, it strongly appears to me that the oily
6 water sewer system is used for disposal of
7 hydrocarbon waste that very easily could go back
8 into your processes here somewhere else, or may
9 be shipped off as hazardous waste.

10 Now, what I'm talking about specifically
11 is naphtha. There's a lot of documentation in
12 these logs that indicate when a vessel, a unit
13 is going down for maintenance, that at times
14 they contain various amounts of solvents like
15 naphtha or hydrocarbons like naphtha, and that
16 these are not water processing waste, it's not
17 contaminated water, it's the pure material, pure
18 naphtha. It's been documented three or four
19 times in these logs. Methanol has been
20 mentioned, fuel oil has been mentioned. These
21 materials are being released into the oily water
22 sewer system, and it's going to be the MPCA's
23 contention that this is an improper disposal of
24 these materials. Can you comment on that at
25 all? Do you have any knowledge of this going

- 1 on? Is this something you weren't aware of or
2 any general comments on that?
- 3 A. In general we use our sewer system -- our sewer
4 system is not a disposal facility, our sewer
5 system is a conveyance facility that delivers
6 oily water to our waste water treatment plant
7 where it's then treated. We capture that oil
8 and we do return it to our process. Or, as you
9 mentioned, we can send it off as a waste from
10 the waste water treatment facility. So I don't
11 view using our oily water sewer system as
12 disposal, I view that as conveying oily water to
13 our treatment facility.
- 14 Q. I agree, oily water.
- 15 A. Koch's stand likely would be different from your
16 assertion that we cannot use the sewer system to
17 convey oil and water to our treatment plant.
- 18 Q. I'm not asserting that.
- 19 A. I'm sorry, I misunderstood what you had said.
- 20 Q. I'm asserting that beyond that -- I agree,
21 that's what the oily water sewer system is for,
22 disposing of processed water from your units
23 wherever it's generated in this facility, oily
24 waste water. That's what the system is for.
25 But that system is also -- it appears to me that

1 system is also being used for the disposal of
2 waste product solvents like naphtha, like
3 methanol, like ethanol, like gasoline, that it
4 is being -- that is in a vessel, it is contained
5 in this vessel that is coming down for
6 maintenance and they have to get rid of this
7 material. What they're doing is pulling the
8 plug on it and piping it or letting it run
9 directly into the oily water sewer system
10 instead of some other, I would think, more
11 appropriate management. That's my concern.

12 It's not the release of oily water that
13 comes from whatever step. Maybe it's a step
14 where water is used to clean out the inside of a
15 vessel, that's fine, and water is used in your
16 production processes, I understand that, that's
17 what it's for. That's why you have the
18 treatment plant on-site. I'm talking about
19 those specific instances I just mentioned,
20 that's what I'm concerned about. And this
21 appears to me is going on at this facility. Any
22 comment on that?

23 A. Yeah. My comment would be I think Koch
24 disagrees with you regarding the use of that --
25 of those facilities. Again, specifically we

1 welcome discussing that with you and referring
2 to regulations, which is what we always want to
3 do.

4 Q. Okay. A second issue that we talked a little
5 bit about, actually a lot, I've got some
6 documents here, and I'll just mention them
7 quickly. One is a memo of March 11, 1996 and
8 it's from Heather Faragher to Eric Askeland and
9 the subject is hazardous waste stuff. And
10 number four in the memo states, reads what is
11 the operator's liability responsibilities
12 concerning the signing of hazardous waste
13 manifests? The ones from Otto Avenue were from
14 state of Minnesota or from state of MN. That's
15 a question. This brought up specific questions
16 from operators with regard to signing these
17 forms and their liability (indicating).
18 A. (Views document.)
19 Q. The second document is attached to a memo from
20 Heather again, and this is dated March 26, '96.
21 It's from Heather to a number of operators,
22 mostly it looks like waste water treatment plant
23 operators. The subject is hazardous waste
24 issues. The memo reads there are some questions
25 concerning hazardous waste issues at the waste

1 water treatment plant during class number three.
2 Eric has put together a summary of items that
3 concern us at the waste water treatment plant.
4 Then attached is a three-page document with
5 eight different items on it. Item number six is
6 entitled manifest, and under that is A, B and C.
7 I won't read it all, but A states -- it reads
8 the operator should not experience a significant
9 amount of liability from signing hazardous waste
10 manifests if, one, Koch is able to take the
11 waste, and two, Koch manages the waste properly
12 upon acceptance. In B the last sentence of the
13 paragraph states operators should not accept any
14 off-site waste without prior approval from the
15 environmental department.

16 The first part of that is actually the
17 most important of B, operators should make sure
18 that the environmental department is aware of
19 any waste coming to the waste water treatment
20 plant that is on a manifest other than a KRC-PB
21 internal waste manifest (indicating).

22 A. (Views document.)

23 Q. The last document here is a waste water treat
24 plant daily audit log and it's from 9/8/95.
25 Under the comments section it states

1 environmental contacted us to sign manifest for
2 pipeline trucks to unload high benzene materials
3 to tank 63 (indicating).

4 A. (Views document.)

5 Q. Taking all three of those documents together it
6 appears to me that there is a possibility here
7 that hazardous waste shipments are coming into
8 Koch Refining from off site that are coming on a
9 hazardous waste manifest. Now, I'm not aware in
10 your permit, your hazardous waste storage
11 permit, that Koch is allowed to take hazardous
12 waste from off site. Any comments on that? Are
13 you aware of this or am I seeing things wrong
14 here? Anything you can help me with I would
15 appreciate.

16 A. I don't think I can help you much on this. You
17 know, I'm not aware of the details of this
18 September '95 log sheet.

19 Q. Yeah, I realize that. A general sense I guess.

20 A. In a general sense it appears Heather and Eric,
21 as part of a regularly scheduled environmental
22 awareness class for operators, and most likely
23 waste water treatment plant operators, was
24 answering, you know, their questions regarding
25 several different -- several different aspects

1 of their business, and one in particular on the
2 haz waste manifest. One of the questions seems
3 to be, you know, from an operator what kind of
4 liability do they take on when they sign their
5 name to a manifest.

6 Q. Right.

7 A. I'll say in general that sometimes is -- well, I
8 won't say sometimes, many times that's a
9 question that comes up from one of our
10 operators, and it's not specifically to a haz
11 waste manifest, it's to anything. They're
12 wondering when I sign my name to something what
13 that means.

14 Q. Sure.

15 A. And whether it's, you know, a safety permit or
16 even a safety audit of observing other
17 employees, there's always a concern. Many times
18 there's a concern among our operators, you know,
19 what does it mean by having my signature on
20 there. That's probably about the best I can
21 comment on that. Again, I don't know the
22 specifics of these issues and certainly don't --
23 I'm not involved in day-to-day activities around
24 our manifesting and such.

25 Q. Well, I guess in general it concerns me that

1 it's being discussed at all. Do you understand
2 what I mean by that statement? I don't
3 understand if Koch is not permitted to receive
4 hazardous waste from off site, why is it being
5 discussed?

6 A. I don't know.

7 Q. That's the question in my mind.

8 A. I can understand why that would lead to that
9 question on your part, but again, specifically I
10 don't know.

11 Q. Thank you.

12 BY MR. KRIENS:

13 Q. One general question. We talked about a lot of
14 the issues that we discovered that were -- we
15 think were problems or we believe have been
16 problems that impact the environment. Does the
17 company have plans to change or at least
18 maintain the environmental department here,
19 enhance it? Anything you would like to comment
20 on that I appreciate that.

21 A. Yes. Certainly we plan to maintain our
22 environmental department. We do plan to make
23 some changes, and we believe these will be very
24 positive, regarding our ability to protect the
25 environment. One of the key aspects of our

1 planned changes and responsibilities is to
2 further, you know, drive ownership for all
3 safety and environmental decisions and such
4 right into the hands of every one of our
5 employees. What we don't want to have is a case
6 where, you know, our employees don't have all
7 the knowledge they need to do their job.

8 I think they do for the most part, but
9 there's always this kind of propensity to kind
10 of book it to the environmental department.
11 Certainly there are some circumstances that
12 belong with the environmental department,
13 knowing permits and understanding the technical
14 requirements of our business and such, but on a
15 day-to-day basis folks in the plant by their
16 actions can not only, you know, comply, but
17 again, get out in front. That's where we want
18 to go.

19 So we do plan some changes. We don't
20 plan on losing our knowledge base or our
21 technical base, but we do want to further
22 broaden ownership for our entire environmental
23 program to every employee. It's almost like we
24 have tried to do that all along, but the focus
25 is going to be even more so now. Again, we hire

1 smart people and we train them well. They can
2 make better decisions when they've got all the
3 knowledge in their hands that they need to be
4 able to comply. To the extent that sometimes
5 they count on the environmental group for their
6 knowledge they could have, should have
7 themselves, that's something we want to avoid.

8 Q. Will that involve then training of these people
9 or, you know, through the environmental
10 department and will environmental staffing be
11 increased as a result or what's anticipated
12 there?

13 A. I would put it this way, Don. I would say that
14 our environmental department will likely over
15 time stay the same or get smaller, but the
16 number of people with the awareness of the
17 environmental requirements and the decisions and
18 their ability to positively impact our
19 environmental program will grow because in
20 addition to the folks in the environmental group
21 then, you know, all of our employees will have
22 better knowledge and better understanding where
23 we're going. Then our environmental group, you
24 know, can focus on what they can do best with
25 their knowledge, understand the regulations,

1 training and educate all of our people, put the
2 systems in place that make it easier for people
3 to do their job, you know, whether it's a
4 reporting system or a data collecting system or
5 those type of things. And then obviously
6 negotiating the permits and working through
7 details with an agency like the MPCA. We want
8 to -- we don't want to have problems. I mean,
9 our policy is that we're going to be out in
10 front on these things, and we believe that by
11 first maintaining an environmental group and
12 then broadening the knowledge and decision
13 rights of others with better get that.

14 MR. KRIENS: Thank you very much.

15 (Whereupon, the interview concluded at
16 4:50 p.m.)

17 * * *


STATE OF MINNESOTA)
) ss:
COUNTY OF HENNEPIN)

BE IT KNOWN, that I, MILO BALLINGRUD, Court Reporter, a Notary Public in and for the County of Hennepin, State of Minnesota, certify that the foregoing is a true record of the interview of TIM RUSCH, and reduced to writing in accordance with my stenographic notes made at said time and place.

I further certify that I am not a relative or employee or attorney or counsel of any of the parties or a relative or employee of such attorney or counsel;

That I am not financially interested in the action and have no contract with the parties, attorneys, or persons with an interest in the action that affects or has a substantial tendency to affect my impartiality;

IN WITNESS WHEREOF, I have hereunto set my hand on this 21st day of November, 1997.



MILO BALLINGRUD,
Notary Public, Hennepin County, Minnesota
My Commission Expires January 31, 2000.